



ONTARIO ENERGY BOARD

FILE NO.: EB-2007-0673

VOLUME: Stakeholder Consultation

DATE: August 5, 2008

BEFORE: Paul Sommerville Presiding Member

Paul Vlahos Member

THE ONTARIO ENERGY BOARD

3rd Generation Incentive Regulation
for Electricity Distributors

Proceeding held at 2300 Yonge Street,
25th Floor, Toronto, Ontario,
on Tuesday, August 5, 2008,
commencing at 1:04 p.m.

Stakeholder Consultation

BEFORE:

PAUL SOMMERVILLE

Presiding Member

PAUL VLAHOS

Member

A P P E A R A N C E S

LISA BRICKENDEN ALLAN FOGWILL MARIKA HARE BILL COWAN	Board Staff
JAY SHEPHERD	School Energy Coalition (SEC)
RANDY AIKEN	London Property Management Association (LPMA)
BILL HARPER	Vulnerable Energy Consumer's Coalition
MAURICE TUCCI DR. ADONIS YATCHEW	Electricity Distributors' Association (EDA)
PAULA CONBOY	
SUSAN FRANK	Hydro One and Coalition of Large Distributors (Enersource Hydro Mississauga Inc., Horizon Utilities Corporation, Hydro Ottawa Limited, PowerStream Inc., Toronto Hydro-Electric System Limited and Veridian Connections Inc.)
JULIE GIRVAN	Consumers' Council of Canada (CCC)
JULIA FRAYER	London Economics Group
JUDY KWIK DR. FRANK CRONIN	Power Workers' Union (PWU)
PETER THOMPSON	Canadian Manufacturers & Exporters (CME)
DR. LAWRENCE KAUFMANN	Pacific Economics Group (PEG)
DAVID MacINTOSH	Energy Probe Research Foundation

I N D E X O F P R O C E E D I N G S

<u>Description</u>	<u>Page No.</u>
--- Upon commencing at 1:04 p.m.	1
Preliminary matters	1
PRODUCTIVITY FACTOR	3
COALITION OF LARGE DISTRIBUTORS & HYDRO ONE NETWORKS	3
Presentation by Ms. Frayer	3
ELECTRICITY DISTRIBUTORS' ASSOCIATION	29
Presentation by Dr. Yatchew	29
ONTARIO ENERGY BOARD STAFF	45
Presentation by Dr. Kaufmann	45
Questions/Discussion:	77
--- Recess taken at 3:30 p.m.	84
--- On resuming at 3:45 p.m.	84
--- Whereupon the proceeding adjourned at 4:32 p.m.	112

E X H I B I T S

Description _____ Page No.

NO EXHIBITS WERE FILED DURING THIS PROCEEDING

U N D E R T A K I N G S

Description

Page No.

NO UNDERTAKINGS WERE FILED DURING THIS PROCEEDING

1 Tuesday, August 5, 2008

2 --- Upon commencing at 1:04 p.m.

3 MR. SOMMERVILLE: Please be seated. Thank you.

4 **PRELIMINARY MATTERS:**

5 Good afternoon, everyone. My name is Paul
6 Sommerville. I am a member of the Ontario Energy Board and
7 sitting with me is Paul Vlahos. Today we are here to
8 listen carefully to the various presentations respecting,
9 today, the productivity factor, but over the next couple of
10 days, the three issues that are still outstanding for the
11 3rd generation IRM program.

12 Our goal is to foster a full, frank, comprehensive
13 discussion, following which we will report to our
14 colleagues at the Board, who will make the final
15 determination with respect to these particular -- these
16 three particular items that we're dealing with during the
17 course of this consultation.

18 We will try to stay out of the way as much as
19 possible. We will try to foster the discussion in
20 directions that will be of help to us in making our report
21 to the Board, but we in no way want to inhibit the exchange
22 of ideas that we look forward to and hope for today and
23 tomorrow and Thursday.

24 Just some logistics. We will typically start at 9:30.
25 We will start at 9:30 tomorrow and Thursday. We will break
26 at 4:30 fairly rigidly. We will take a morning break and
27 an afternoon break, typically 15 or 20 minutes each time.
28 We will try to fit those into the schedule so that they

1 represent the least inconvenience to the presenters.

2 We will generally follow a path where presenters --
3 all of the presenters will complete their presentations and
4 the discussion will ensue thereafter. The only exception
5 to that may be questions from Mr. Vlahos or myself for
6 clarification in the course of a presentation.

7 But it is thought that having the presenters complete
8 their presentations before the -- before questions from
9 others is a more appropriate and more - frankly, more
10 respectful approach to take as we go forward.

11 If we do happen to make particular progress on the
12 stretch factor tomorrow, we may start to deal with the
13 capital module threshold earlier so that you may want to
14 plan accordingly. If we do have some extra time tomorrow,
15 we will use it to advance the capital module discussion.

16 Without further ado, I think, unless there are some
17 questions or observations from anyone -- and please don't
18 be shy. This is not a hearing. This is a -- we are here
19 to facilitate the discussion, not to inhibit it. So feel
20 free to ask questions and to raise issues, and so long as
21 they are focussed on the three items that we are dealing
22 with in this process, we will do our best to accommodate
23 them.

24 Are there any preliminary matters that anyone would
25 like to raise?

26 If, when you ask questions, you could identify
27 yourself for the court reporter, that would be helpful. I
28 think that is the protocol that you followed before this,

1 in this process.

2 So without -- unless there are some preliminaries, Ms.
3 Frayer, are you ready to proceed?

4 MS. FRAYER: Thank you, yes.

5 MR. SOMMERVILLE: Thank you.

6 Ms. Frayer, I'm sorry I neglected this. There are
7 microphones -- two microphones on each segment of the desk
8 and if you push the button and the green light goes on, you
9 are alive. That's the only way really that the court
10 reporter can hear you.

11 **PRODUCTIVITY FACTOR**

12 **COALITION OF LARGE DISTRIBUTORS & HYDRO ONE NETWORKS**

13 **PRESENTATION BY MS. FRAYER:**

14 MS. FRAYER: Apologies. I hope it is on now.

15 Before -- I was going to start -- I wanted to take a
16 moment to thank the Board for inviting me here to present
17 today on behalf of the Coalition of Large Distributors and
18 Hydro One Networks.

19 I would also like to compliment the Board Staff on the
20 wonderful and comprehensive job they have done on the
21 consultation process so far. I have really enjoyed being
22 able to participate and be involved in this process in
23 planning for 3rd generation incentive ratemaking.

24 I have organized my presentation along the three
25 subject matters, and I am going to hopefully in the next 20
26 minutes encapsulate my recommendations for the productivity
27 factor, which is the agenda item for today.

28 My recommendation has a number of dimensions. My

1 primary concern is that we set a productivity factor for
2 3rd generation IRM here in Ontario based on measures of
3 long-term productivity for the Ontario electricity
4 distribution sector.

5 I do believe that analysis of productivity growth from
6 other jurisdictions and other similar industries is useful
7 and can be used as checks and benchmarks, but it cannot, in
8 my opinion, substitute for Ontario-specific business
9 circumstances.

10 I recommend that we use a 20-year average total factor
11 productivity growth measure that we can estimate by
12 combining productivity analysis results from first
13 generation IRM, which cover the time span of 1988 through
14 2002, and our independent analysis of productivity growth
15 among the Ontario LDCs for the period 2002 through 2007.

16 We will have to make some conjectures and some guesses
17 at productivity growth that ensued in that gap or missing
18 years' period of 2002 -- sorry, of 19 -- of 1997 through
19 2002, but, nevertheless, we do have a robust, I believe,
20 historical estimate of total factor productivity growth for
21 Ontario spanning many, many years.

22 Based on my analysis over the most recent six years,
23 on average, total factor productivity growth has been
24 negative as the increases in the quantities of input have
25 generally outpaced the increases in the quantities of
26 outputs we have measured.

27 This negative trend needs to be acknowledged and
28 included in an analysis that is the basis for a

1 productivity factor going forward, but I would like to
2 underscore I am not recommending that we only take that
3 negative trend and use that as the sole basis going forward
4 for the productivity target.

5 I am simply noting that we need to incorporate it and
6 acknowledge it into a long-term estimate.

7 That being said, I don't believe that there will be a
8 reversal of recent negative TFP trends in the near future.
9 And, in fact, I don't know if there will be a complete
10 reversal of trends to long-term averages during the term of
11 3rd generation IRM.

12 However, I still believe that a 20-year average total
13 factor productivity growth rate of 0.58 percent is a
14 reasonable target for LDCs for the longer term. It will
15 create measurable savings for ratepayers in the near term,
16 and balance that against a useful target for local
17 distribution companies to attempt to achieve in terms of
18 their productivity in the longer term.

19 Before I go into the analysis in a little bit more
20 detail about how I derived my recommended level of TFP
21 growth, I wanted to go back and talk a little bit about
22 three guiding objectives that I had put behind the work I
23 have done to date in this consultation.

24 The three guiding objectives is the Board's own
25 criteria that they set forward for 3rd generation IRM, and
26 I won't speak to that, because I think we're all very
27 familiar with the criteria.

28 The other guiding objective is to be able to complete

1 empirical analysis, robust empirical analysis that I am
2 confident in presenting, and the third aspect of this is
3 real-world sensibilities. I wanted to be able to have an
4 analysis that is practical and realistic.

5 Let me tell you a little bit about what I mean. Well,
6 on the issue of the objective and robust empirical
7 analysis, I wanted to have a recommendation and be able to
8 present a recommendation to the Board on long-term
9 productivity that is the best possible estimate of
10 historical productivity and potential future productivity
11 going forward.

12 Therefore, it needs to be reflective of local
13 conditions and reflective of this particular industry, the
14 electric distribution industry. It needs to be robust to
15 different measures and variables, it needs to be
16 transparent and replicable, and we need to be able to
17 consider all available data, because that makes us more
18 confident in the estimate that we derive from that
19 analysis.

20 On the real world sensibilities, if you will, or
21 practicalities, I understand that the Board wants an
22 achievable productivity target and a reasonable and
23 sustainable IR mechanism. For some of us here, this was a
24 very interesting theoretical exercise, followed by a lot of
25 work with empirical analysis and data. For myself, this
26 particular analysis was also, I won't say complicated, but
27 was also interlaced with the fact that my clients, the
28 largest distribution companies in Ontario, reminded me

1 every day that this is not about theory or historical
2 empirics for them, this is about their business going
3 forward.

4 They really wanted me to show them the theory, show
5 them the empirics, but also work with them through the
6 number and check whether the number is appropriate, whether
7 it is practical and reasonable and whether it is justified
8 on a going-forward basis.

9 So my work never really finished with the presentation
10 of the theory and the historical analysis and empirics,
11 that is just where it began. We worked quite a bit on
12 validating and understanding the numbers, is it this
13 reasonable? Is it possible? Under what circumstances will
14 it be achievable and successful, and in what circumstances
15 do we need to reconsider the options going forward?

16 So there was a lot of pragmatism in the work that my
17 clients demanded, and I had I that pragmatism is a theme I
18 will come back to quite a bit this afternoon.

19 Before I start, maybe I -- I don't want to spend too
20 much time on this, but I wanted to at least give two
21 minutes to the underlying sort of analysis that we did, the
22 theory, if you will, or the concepts, because I do
23 understand and completely agree with the Board reports
24 prospective that in a comprehensive price cap, the
25 productivity target needs to be based on long-term measures
26 of total factor productivity. And total factor
27 productivity growth analysis is simply a matter of
28 calculating the quantity of outputs produced per unit of

1 input.

2 In this very simple example, I have decomposed, if you
3 will, the analysis into three steps and it's really a
4 question of identifying the relevant inputs and outputs
5 followed by a calculation of the quantities of those,
6 because at the heart of production theory, you are really
7 looking at the quantities of input you are using and the
8 quantities of outputs rather than what you spend on those.

9 This is a very illustrative example purely to kind of
10 highlight the simple aspects of the analysis, so we're
11 using a single input and single output. Of course the
12 electricity distribution industry is a little bit more
13 complicated than that, but if you bear with me I will take
14 you through the analysis.

15 In effect, in step 2, once we have identified the
16 input and outputs, what we simply need to do is look at an
17 index of how those inputs and output quantities change with
18 time. So the start year will start at 100 and we will grow
19 with changes in quantities from year to year.

20 The TFP level is then the relationship, the ratio of
21 output quantities to input quantities. And the TFP growth,
22 which is what is actually the foundation for our
23 productivity target, is then the rate of change in TFP
24 levels from year to year.

25 The TFP growth number -- in this very simple
26 illustrative example, is the yellow bars in the third chart
27 all the way to the right, which is basically the change in
28 the TFP levels from year to year.

1 Of course, in the real world complications arise,
2 because we have complex production processes. We have an
3 industry that uses multiple inputs: Capital, labour,
4 contracted services, and produces a product or service that
5 is sometimes difficult to find appropriate measures for and
6 define.

7 Before I go into that a little bit and to the
8 realities of how I took this methodology and applied it to
9 Ontario data, one element that I wanted to speak to is:
10 Why my focus on Ontario data?

11 Well, my focus has come from my own experiences in
12 rate-setting regulatory regimes and performance based
13 ratemaking concepts and application in projects that I have
14 done in the US, in South America, in Europe, and parts of
15 Australia, New Zealand with my associates at Mayrick &
16 Associates which is a firm that specializes in this, in the
17 pan-Asian area.

18 From my own experience, I have come to realize that
19 there is no substitute for local data. And the reason is
20 that in effect, the process may be the same. Electricity
21 distribution in Ontario is the same as electricity
22 distribution in Massachusetts, where I live, or in, you
23 know, Bogota, Columbia, but it is the trend in input and
24 outputs that may be different over time.

25 The trends for inputs and outputs in Ontario may not
26 be in synch with trends in the US and this is my biggest
27 concern that I think that the Ontario business landscape is
28 distinct from that in the US, and that's why I would like

1 to stress Ontario metrics for 3rd generation IRM.

2 Ontario LDCs tend to be quite small, in comparison to
3 their US peers. They have a different type of customer
4 base, and with few exceptions their focus in Ontario is on
5 distribution of electricity. They don't do distribution of
6 gas or have vertically integrated operations with
7 generation and transmission.

8 Many US LDCs -- and I am referring specifically to a
9 very useful comparison that Dr. Kaufmann's group put
10 together in follow-up to the May workshops -- they had a
11 sample of US utilities that they presented against and they
12 gave us some statistics about those utilities.

13 Many of the US LDCs that were used in the Pacific
14 Economics Group analysis were in fact vertically integrated
15 or had gas operations and that has very big implications,
16 not only for productivity levels but historical and going-
17 forward productivity growth. And that's very important to
18 keep in mind, that -- to the extent that historical
19 estimates may not align because there was more or less
20 opportunities for economies of scale, more or less
21 opportunities for the use of different technologies and
22 other types of cost pressures. Those would impact the
23 historical productivity growth estimate, which is what we
24 want to base our going-forward productivity target on.

25 More --

26 MR. VLAHOS: Sorry, if I could interrupt you. "Many
27 vertically integrated utilities," you say, in the US, many,
28 being more than half? Less than half? Can you give me a

1 number or percentage or portion?

2 MS. FRAYER: I don't have the list in front of me, but
3 I will gamble to say it is more than half. In fact, I
4 think it is the majority of that grouping, because there
5 are very few stand-alone distribution utilities in the US.

6 MR. VLAHOS: Thank you.

7 MS. FRAYER: Now, in terms of integration with gas
8 distribution, I think it is probably less than half of
9 those. But most US LDCs, investor-owned utilities, are
10 vertically integrated or at the minimum also have
11 transmission with the distribution.

12 Ontario LDCs also face what I believe to be unique
13 challenges in how they operate, and how they build their
14 systems because of weather and customer base conditions,
15 the distribution of customers. In effect, you know, once
16 we measure historical productivity, it is also a function
17 of the legacy of how the system was built out and
18 configured and that is distinct in Ontario in comparison to
19 other parts of the US or if we were looking even further
20 abroad, to other countries. Each country will have its own
21 legacy, its own history of how it electrified and how it
22 decided to build its systems and it's also a matter of
23 engineering preference, to some degree.

24 This has implications, again, not only for the
25 historical input/output relationship and historical
26 measures of productivity growth, but in my opinion these
27 types of drivers also have implications for productivity
28 growth going forward.

1 One other thing to keep in mind is that the Ontario
2 LDCs have been under I would say a unique, to some degree,
3 regulatory environment where they have been under de facto
4 price caps since the mid 1990s, while also trying to
5 corporatize and meet the mandates of market restructuring.

6 In contrast, I would suggest that the US environment
7 has been that more akin of a stable cost-of-service regime,
8 for the most part. And most of the US LDCs I know that we
9 have looked at for the Pacific Economics Group analysis
10 have been investor-owned utilities for many, many years, so
11 they have had a stable corporate structure -- a fairly
12 stable corporate structure as well, distinct from the
13 municipal- to investor-owned transition we are having right
14 now here in Ontario.

15 So that with that in mind, once I was commissioned to
16 represent the CLD and HONI, one of my first sort of
17 commitments and deliverables was to look at the available
18 data, and I think Ontario is very uniquely positioned, in
19 that it has a lot of data available, a "lot" meaning more
20 than -- maybe the time frame isn't long enough, but there
21 was a volume of data publicly available and that data is
22 very useful at looking at productivity, and that is what we
23 did.

24 We took the cost comparisons modelling data that Board
25 publishes on its website and we created a total factor
26 productivity analysis for the period 2002 through 2006.
27 And in July, thanks to the updates that the Board had
28 published, we were able to go back and actually update the

1 analysis that I had previously presented in March 2008 with
2 2007 data.

3 Generally speaking, the addition of 2007 to the data
4 mix did provide us with one additional data point, but it
5 did not change the overall trends we had previously
6 observed.

7 OM&A and inputs, in general, continue to grow much
8 faster than the quantity of outputs produced by the sector
9 on average.

10 The table on the top of this slide, the yellow table,
11 shows the quantity indexes for the three outputs we
12 considered, as well as the two inputs, OM&A and capital.

13 It shows the year-on-year change in the quantities of
14 those input and outputs that we measured, which is the
15 underlying -- this is the underlying indices that then go
16 into the TFP growth measure.

17 As you can see, OM&A has grown by over 14 percent over
18 the last six years, in contrast to more moderate 4 to 8
19 percent growth in other -- in throughput and customer
20 numbers, respectively.

21 You may ask, Why has OM&A grown so robustly over the
22 period? And I think there is -- again, this is kind of
23 bringing me back to that pragmatic real-world aspect to it.
24 We spent quite a bit of time thinking about this with the
25 distributors and understanding these results.

26 I think there are two drivers to it. OM&A is a
27 combination of labour and materials. Materials is not the
28 steel and copper that goes -- or the wood for the

1 distribution poles. Materials in this respect is
2 contractor services, the type of inputs that we don't
3 capture by looking at labour quantities or looking at
4 capital quantities.

5 Let me start back now with labour. Generally, what we
6 have seen over the recent time frame is an increase in the
7 quantity of labour, and, as the Board has probably already
8 heard through evidence from some of the distribution
9 companies in their rebasing, that increase in the quantity
10 of labour is not likely to come down very quickly to long-
11 term sort of average levels in the near term, but will
12 eventually over the medium term.

13 As an example of this statement, in the supplemental
14 materials I have in this presentation in slide 33, which I
15 could actually quickly -- or I could ask people to quickly
16 look to on their own, I have represented some information
17 that Hydro Ottawa had already submitted in its rebasing
18 application to the Board to show how its staffing
19 requirements have generally gone up historically and are
20 expected to slowly come down to longer-term averages, but
21 probably not for quite some time, probably not until the
22 end of 3rd generation IRM.

23 The reason this is happening is that there is a
24 demographic shift in the labour pool. There is a need for
25 apprenticeships to educate the new additions to the labour
26 pool prior to losing the -- I would kind of call the older
27 generation of the labour pool to retirements.

28 On the material side, there has also been expanding

1 pressure and expanding scope historically. Contracted
2 services such as consulting services, like from consultants
3 like myself, as well as IT services, accounting services,
4 legal support, all of those types of services have been
5 expanding in scope in response to growing compliance and
6 regulatory and legislative requirements.

7 We don't expect those to actually stabilize, even at
8 2006 and 2007 levels. We are expecting those to continue
9 to increase for some time, just as those legislated
10 mandates continue to increase.

11 It should be also noted that in the yellow figure on
12 the top, I am reporting throughput or sales of electricity,
13 as well as peak demand metered on actual numbers basis. I
14 am not weather normalizing those figures.

15 You may ask why I am not doing that, and the reason is
16 that, in effect, I want to present the actual results,
17 subject to actual operating conditions. The distribution
18 companies operate to those actual conditions. They don't
19 operate to weather-normalized figures.

20 So what I want to do is measure total factor
21 productivity on the basis of actual figures, since I
22 understand that that productivity -- that will then form
23 the productivity target which will impact actual revenues
24 in the future.

25 So to the extent that rates were collected on a
26 weather-normalized billing unit basis, I might weather
27 normalize my historical analysis, but, in effect, revenues
28 and operations and, therefore, productivity of distribution

1 cap depends on actual conditions. And, therefore, I think
2 it is important for the historical analysis to be able to
3 represent actual conditions.

4 Then we can make -- we can have a discussion about
5 what that means. For example, we can see that peak demand
6 has gone up and down depending on weather conditions during
7 the summer period. That measure is very sensitive to
8 weather conditions at the summer peak, but it is important
9 to understand that, in effect, the utilities need to
10 operate to those conditions, whatever they may be, and they
11 cannot predict or control the weather.

12 So what is the result of this analysis?

13 Well, depending on the various weights you give to the
14 output measures of throughput, customer numbers and peak
15 demand, we have different levels of estimated total factor
16 productivity growth over this six-year period. It varies
17 from negative 0.5 percent under scenario 5, which is
18 basically giving no weight to peak demand and the most
19 weight to throughput, to a low of negative 1.67 percent,
20 which is giving the most weight to peak demand.

21 In my analysis and my recommendation for the
22 productivity target, I have conservatively taken into
23 consideration scenario 5, which gives no weight to peak
24 demand, and scenario 2, which, again, minimizes the weight
25 to peak demand and gives it only a weight of 25 percent.

26 So those are the two numbers, the negative 1 percent
27 and the negative 0.5 percent, that underlie my
28 recommendation of 0.58 percent that I will turn to.

1 I am going to skip slide 7 for a second and come back
2 to it in a minute. I wanted to turn very quickly now to
3 slide 8, since we were talking about historical -- my
4 recent historical analysis.

5 I had mentioned in the beginning of my presentation
6 that I am recommending a very long-term productivity target
7 of 0.58 percent.

8 So how did I get 0.58 percent? Well, I combined the
9 productivity analysis that Cronin and King performed for
10 first generation IRM, which covers the periods of 1988
11 through 1997. I then incorporated the conjectures about
12 productivity growth in Ontario that Pacific Economics Group
13 presented in their February report for the missing period
14 of '97 through 2002. And then I incorporated my
15 conservative estimates of recent TFP growth in Ontario
16 based on actual data.

17 On that basis, I was able to calculate average annual
18 productivity growth estimates in Ontario over different
19 time frames and that is what you see here in this grey
20 chart, grey back chart.

21 We have four scenarios here of average annual TFP
22 growth along different time frames. If we go back 20 years
23 -- and we have effectively 20 years of data if we
24 incorporate the conjectures about what happened during the
25 missing years' period -- we see that average annual
26 productivity growth over 20 years in Ontario, according to
27 the different potential scenarios, lies somewhere between
28 0.42 percent -- which is represented by the pink line in

1 the pink metric to a high of 0.73 percent, which is
2 represented by the yellow line.

3 In fact, for those interested, the numbers behind this
4 graph are available in the supplemental materials under
5 slide 35.

6 My recommendation of 0.58 percent is based on the 20-
7 year productivity growth estimate. It is the midpoint or
8 the median between the four different scenarios that I am
9 confident span the potential range of productivity growth
10 in Ontario over the long-term.

11 I have also been conservative, in that this -- these
12 rolling average estimates of productivity growth equally
13 weight each year. So I have not applied any additional
14 weighting to recent period. What I have done is simply
15 incorporate the recent negative TFP growth that we have
16 seen on a one-to-one basis with very high TFP growth that
17 Cronin and King measured for the 1992 to 1997 period, the
18 generally lower TFP growth that they observed between 1988
19 and 1992, and the conjectures that Pacific Economics Group
20 presented under their model 2 and model 3 for TFP growth in
21 Ontario between 1997 and 2002. I believe a 20-year
22 estimate should be sufficiently long term to capture the
23 various cycles in TFP growth that we see. In fact, I
24 believe it is the best estimate we have today about total
25 factor productivity growth in Ontario.

26 You may ask, why 20 years? Why not 15 years, because
27 in fact if you look at the 15-year estimate, all of the
28 various scenarios and models we have looked at suggest a

1 little bit of a higher average annual TFP growth number.

2 My response is that 15 years would ignore the cycles
3 that the Ontario electricity distribution industry has
4 actually seen. It would effectively ignore the period of
5 1988 through 1992 for which we have actual data for which
6 Cronin and King made an actual figure of TFP.

7 We also want to rely on the most -- on actual data as
8 much as possible. The 15-year estimate would in fact put
9 greater weight on the conjectures that we had to make about
10 the missing years, and I would like to minimize those
11 conjectures as much as possible, so I would like to rely on
12 as much actual data as possible to smooth out some of the
13 potential errors we may have made in those conjectures.

14 Most importantly, I think the 20-year data follows my
15 basic principle of empirical analysis. It uses the most
16 extensive compilation of available data possible. In my
17 mind, it makes me feel more accurate about the estimate
18 that I am providing you, and therefore the recommendation
19 of 0.58 percent.

20 In effect, I believe it is the best estimate because I
21 have the most confidence in the analysis that went into
22 creating that estimate.

23 In short, I do think a 0.58 percent productivity
24 factor would be an effective and balanced productivity
25 factor for 3rd generation IRM. In my mind, it really meets
26 the Board's criteria. It will produce immediate benefit to
27 ratepayers, they will see prices declining in real terms,
28 but it will also motivate efficiency improvements from the

1 LDCs.

2 Recent history suggests that even a 0.58 percent
3 productivity factor may not be achievable in the near
4 future. But nevertheless, I believe that it is important
5 to have a positive productivity factor that the Ontario
6 LDCs could use and aim for for the longer term.

7 This productivity factor is also very practical, on
8 multiple dimensions. It is transparent and its relevancy
9 is unquestionable because it is based on Ontario data that
10 we have available, and it employs easily replicable index
11 methods to estimating total factor productivity growth
12 historically.

13 It is also using all the data available. It is
14 effectively representing a 20-year long-term average. So I
15 am very confident that it's the best estimate or, the most
16 accurate estimate of long-term productivity growth that we
17 can produce today.

18 That being said, I also think that it is important
19 that this value of 0.58 percent explicitly recognizes and
20 incorporates the recent negative trends in TFP growth that
21 I have estimated and observed in the industry so that we
22 take those into account, we take it -- the recent
23 experiences into account.

24 One last comment I had which was again important, and
25 it is going back to the ultimate sort of objectives that I
26 talked to you in the beginning of my presentation, and that
27 pragmatic reality check aspect of it.

28 There may be some who wonder, London Economics, Ms.

1 Julia Frayer is presenting a recommendation for 0.58
2 percent productivity growth. Pacific Economics Group has
3 proposed a recommendation of 0.88 percent. That's 30 basis
4 points? Is that a difference that is worth discussing and
5 developing opinions on?

6 My response is that it is. It is quite important. I
7 think it very important for the stakeholders and I would
8 hope the Board, to recognize that although 30 basis points
9 in a finance class may not sound like a lot, mathematically
10 it is quite important to the bottom line of these
11 distribution companies. As an illustration here on this
12 last slide, I have presented what 30 basis points could
13 mean, in terms of accumulative difference in revenues vis-
14 à-vis the actual net income that a distribution company
15 earns in a typical year.

16 What I have done is, to make it as realistic as
17 possible, without actually picking on a particular utility
18 I have created a hypothetical utility using Ontario data.
19 I took the 2007 CCM data and I have averaged all of the
20 utilities, the really large utilities, Hydro One Networks
21 and the CLDs with all of the smaller utilities and I
22 created a hypothetical utility that has distribution
23 revenues of about \$30 million, OM&A expenses of about \$14
24 and a half million and so forth, producing a net income of
25 about 2 million a year, according to the 2007 data.

26 Now, if we look at the revenues based on a price cap
27 regime for 3rd generation IRM -- based on a three-year term
28 after the base year -- we see that a price cap with

1 inflation of one and a half percent and an X factor of 0.88
2 percent produces a cumulative revenue stream of about \$92
3 million. A price cap with the same inflation factor, but
4 an X factor of 0.55, .58 percent which is what I am
5 recommending, produces a cumulative revenue stream of about
6 \$92.5 million. That difference of over half a million
7 dollars is substantial. That's over a quarter of a typical
8 year's annual net income.

9 Now, if you think about it, to the extent that the
10 LDCs have already been under substantial cost pressure
11 since the mid 1990s, they have -- I don't want to say this,
12 but there is a new sort of phrase that I have learned over
13 the months of working with them, they've had to, in effect,
14 find all types of costs to cut and in some cases delay
15 investment kind of harvest the system and use the system as
16 best as they can under those extenuating conditions, that
17 25 percent of net income is quite substantial.

18 In that context, I think my recommendation for a 0.58
19 productivity factor is, in fact, more realistic and more
20 practical than other recommendations that you will hear
21 before you today.

22 MR. SOMMERVILLE: Thank you very much.

23 MR. VLAHOS: Ms. Frayer, just a couple of questions.
24 Starting with your last point first, you indicated the
25 difference is really -- in the proposals is not that
26 significant. It doesn't appear significant, but it is once
27 you translate it into dollar terms.

28 Based on your experience - and you have noted that you

1 have worked in many other jurisdictions - when you fight
2 those battles with the other side, those numbers that the
3 other tribunal will be faced with, are those typically
4 larger differences than we are faced with today here?

5 MS. FRAYER: No. I think that many of the
6 conversations are in terms of basis points, because, in
7 effect, if you're talking about hundreds of basis points,
8 you know, there have been differences between two, three,
9 400 basis points, but those have been on completely
10 different paradigms.

11 I think one of the things you need to keep in mind is
12 that we are using the same methodology. We are doing a
13 total factor productivity analysis based on index methods,
14 and I think the difference is really about: What data are
15 we using? And that data, what are the trends underlying
16 the data, the trends in input and outputs, and which ones
17 do we apply going forward to Ontario?

18 So I think it is quite common to have differences of
19 opinion, in expert opinion, in that range.

20 MR. VLAHOS: Right. So to make sure I understand,
21 when you talk about 200 to 300 basis points, we're talking
22 about 2 or 3 percent difference?

23 MS. FRAYER: Hmm-hmm.

24 MR. VLAHOS: We're not talking about 20 or 30 basis
25 points that is in question here; right?

26 MS. FRAYER: Yes. But it is also common to have
27 differences in that range, in the range that we have here.

28 MR. VLAHOS: I understand that. Thank you.

1 Your suggestion of a 20-year model, is this -- is the
2 20 years something that is robust that you can use the next
3 time around? I don't want to put you on the spot as to
4 what you may recommend three or four years from today, but
5 what drives the 20 years? Is it driven by the data or is
6 it driven by 20 years is as good as one should get on the
7 theory of what we're studying now?

8 MS. FRAYER: Well, my short answer is that I am not
9 wedded to the 20. I am wedded to: What data do we have
10 available in front of us and whether there has been any
11 structural changes or shifts that would make data going
12 back too far in time no longer effective or applicable
13 going forward?

14 I think, for purposes of 3rd generation IRM, a 20-year
15 profile, in my mind, is what we have. We do have 20 years
16 of data with some missing gaps that we can fill in with
17 some intellectual analysis, but we do have that. And I
18 think that there hasn't transpired any structural changes
19 in the industry to date to invalidate those periods going
20 back in time.

21 MR. SOMMERVILLE: If I may, if I understood your
22 presentation, you were saying that the 20 years happens to
23 include the data from 1988 to 2002, as well as the
24 projections or the estimates related to the missing years.

25 MS. FRAYER: Hmm-hmm.

26 MR. SOMMERVILLE: If you used 15 years, your fear is,
27 first of all, you exclude that actual data that we have,
28 and you over-emphasize the projections or the conjecture --

1 MS. FRAYER: Yes.

2 MR. SOMMERVILLE: -- about the missing data?

3 MS. FRAYER: Exactly.

4 MR. SOMMERVILLE: If I understand it, that's the magic
5 in your mind of the 20-year slot as we come to it right
6 now?

7 MS. FRAYER: Exactly.

8 MR. SOMMERVILLE: That doesn't necessarily mean that a
9 20-year slot is the best model forever and ever. It just
10 happens to work in this instance. Did I get that right?

11 MS. FRAYER: Yes, that is correct.

12 MR. VLAHOS: I had in my notes here 20 years is a fit,
13 not the driver. Is that a correct observation?

14 MS. FRAYER: Hmm-hmm.

15 MR. VLAHOS: If I can take you to slide 6 and if you
16 look at the column that depicts the OM&A input, the 14
17 percent -- 14.1 percent.

18 MS. FRAYER: Hmm-hmm.

19 MR. VLAHOS: Now, do you have a view as to whether
20 that number is under or over, compared to what may have
21 been if there was no rate freeze in the province of
22 Ontario?

23 MS. FRAYER: In my opinion, the 14 percent is not an
24 outcome of the rate freeze in the de facto price caps, as
25 much as it is an outcome of demographical shifts that
26 happen in the industry on cycles because of the labour
27 impacts, as well as other initiatives since the rate
28 freeze, other legislative regulatory initiatives and

1 mandates that have effectively expanded contracted
2 services, as well.

3 MR. VLAHOS: So there is no influence at all, in your
4 view, of the rate regime in the province on the O&M that
5 has been observed?

6 MS. FRAYER: I think -- again, I think it is a
7 function of the quantity of labour going up.

8 Another way to think about it is it might have been
9 even higher if we didn't have the rate freeze, because, in
10 effect, the way -- the impact of the rate freeze and the de
11 facto price caps is that the utilities have had to deal
12 within their means, in effect, have had to operate their
13 systems as best as they could without having to raise
14 rates.

15 So perhaps if they had an opportunity to have raised
16 rates earlier, for example, rebased prior to 2006, they may
17 have been able to expand -- you know, expand at a greater
18 level, because, in effect, the sentiment I am hearing is
19 that they have really had to learn to operate their systems
20 as leanly as possible over the many years since the de
21 facto price cap, since the mid 1990s.

22 MR. VLAHOS: If that is the case, that reinforces your
23 theory on what? If the 14 percent is understated, if it
24 was a normal world, it would have been something higher,
25 then? Does that support your recommendation?

26 MS. FRAYER: Well, in effect, if we kind of go through
27 the logic, holding all else constant, if we assumed that
28 the growth in output is as measured and that OM&A growth

1 was even higher, then we would get an even lower TFP
2 estimate from this type of hypothetical exercise, which
3 suggests, again, even greater cost pressures on
4 productivity growth.

5 MR. VLAHOS: All right, thank you.

6 Just finally, perhaps, Ms. Brickenden, can we get some
7 coloured graphs on this presentation? I don't know -- we
8 have black and white. I don't know if anybody has colours,
9 but it makes it a lot easier to follow when we read the
10 transcript. So I don't know whether I impose on you to do
11 that.

12 MS. BRICKENDEN: Sure.

13 MS. FRAYER: As duly, noted I will refer to the square
14 symbols from now on and the triangles.

15 MR. VLAHOS: All right. Thank you.

16 MR. SOMMERVILLE: Just one question. You referred to
17 quantity of labour as a primary driver in the negative, as
18 a negative factor in productivity, the total factor
19 productivity. Did I get that right?

20 MS. FRAYER: Well, in effect, it is the quantity of
21 labour and materials is growing quicker than the quantity
22 of outputs.

23 MR. SOMMERVILLE: I sensed that you were emphasizing
24 the labour part of that aspect. Did I get that correct?

25 MS. FRAYER: It is, because based on our measures of
26 the quantity of capital - as you see, it is the last column
27 in the top table - that has been growing, according to our
28 measures, fairly moderately at about -- less than 5 percent

1 over that six-year period, so 4.6 percent.

2 So if we left out labour all together and said the
3 only input is capital as we have measured, the physical
4 measure of capital, then, in effect, different combinations
5 of the quantity of output would have grown faster and we
6 would have seen a positive TFP growth.

7 MR. SOMMERVILLE: All right. Is related to unit cost
8 of labour, or -- you used the terminology "quantity of
9 labour". What do you mean by that?

10 MS. FRAYER: That's an important point, actually.
11 Productivity theory requires that we look at the quantities
12 as the measure, rather than the amount you spend on labour
13 or the amount you spend on capital input.

14 So one of our most challenging tasks in doing a total
15 factor productivity analysis is taking the data we have,
16 for example, on annual expenditures on labour, OM&A, labour
17 and materials, and calculating from that a measure of
18 quantity of labour and materials. The way we do that is we
19 look at the annual expenditures and then normalize it by
20 the reported costs per unit of labour. In effect, we're
21 using Statistics Canada data on average weekly earnings in
22 the utility sector in Canada.

23 MR. SOMMERVILLE: Now, on the sector?

24 MS. FRAYER: On the sector.

25 MR. SOMMERVILLE: The sector is electricity
26 distribution?

27 MS. FRAYER: I believe the sector is utility, so it is
28 a little bit of a wider sector. It is the best -- from the

1 various analysis we did and we presented a little bit about
2 this back in March, that is probably the most -- the
3 Statistics Canada index that we have the most confidence
4 in, that particular one.

5 MR. SOMMERVILLE: Thanks. Thank you, Ms. Frayer.

6 We have gone over a little bit, but that presumably
7 will go over in some instances and come in a little under
8 in others. That's not a direction disguised as an
9 introduction, Dr. Yatchew.

10 Dr. Yatchew, can you proceed, please.

11 DR. YATCHEW: Yes, thank you.

12 MR. SOMMERVILLE: Thank you.

13 **ELECTRICITY DISTRIBUTORS' ASSOCIATION**

14 **PRESENTATION BY DR. YATCHEW:**

15 DR. YATCHEW: Let me confirm the microphone is on. It
16 is, thank you.

17 First, I would like to thank the Board Members for
18 this opportunity to address the Board. I appreciate the
19 value of your time and I will try to be as succinct as
20 possible.

21 Let me begin, therefore, with what I believe to be one
22 of the most informative graphics relating to the
23 productivity factor issue.

24 This graph contains data on US -- on US distributors
25 and their annual growth rates in TFP over the period 1989
26 to 2006.

27 The volatile, the blue volatile line depicts the
28 actual annual growth in productivity and I should mention

1 that these are data that were developed with quite a
2 considerable amount of work by the Pacific Economics Group.

3 Let me make the following observations. First, there
4 is significant year to year volatility in productivity
5 ranging from minus 1.5 percent, that occurs in the early
6 1990s, to values as high as plus two and a half percent,
7 which occurs in the about 2005.

8 The second point. The average annual productivity
9 growth in the US data is 0.72 percent.

10 Third. There is no statistical evidence of systematic
11 acceleration in productivity growth throughout the sample
12 period, nor is there any statistical evidence of systematic
13 deceleration in productivity growth over the sample period.

14 If one were to fit a straight line, a standard linear
15 regression model to these data, one would get an
16 essentially flat line. So we are neither decelerating nor
17 are we accelerating.

18 MR. VLAHOS: Dr. Yatchew, when you say "US distributed
19 data", are those pure distribution companies or are they
20 also an amalgam of integrated companies, as well as pure
21 distributors?

22 DR. YATCHEW: Many of these are vertically integrated,
23 but there are forms that are filed that specifically
24 require these vertically integrated utilities to segregate
25 to the extent possible the costs of their distributor
26 operations.

27 MR. VLAHOS: So can you give us more information as to
28 how pure is this data?

1 DR. YATCHEW: How cure?

2 MR. VLAHOS: How pure.

3 MR. YATCHEW: How pure.

4 MR. SOMMERVILLE: Same question.

5 DR. YATCHEW: First of all, there are systematic over
6 many years.

7 On the other hand, I prefer to work with pure stand-
8 alone distribution companies of the kind that we observe in
9 Ontario, in Norway, in New Zealand, perhaps to some extent
10 in Germany. So inevitably there is going to be issues of
11 how overheads are allocated, whether there are scope
12 economies.

13 So they may not be very pure and these are concerns
14 that have been raised by the EDA, by other stakeholders, by
15 myself in terms of their direct transferability to the
16 Ontario setting. But for present purposes, I think this is
17 the best we have and we have to interpret our analyses and
18 results within that context.

19 This isn't quite the right data set for us.

20 MR. VLAHOS: So it does reflect an attempt to isolate
21 the distribution component of the enterprise? Am I right
22 on this?

23 DR. YATCHEW: That's correct.

24 MR. VLAHOS: Okay, thank you.

25 DR. YATCHEW: And that's, that is available within the
26 data in the form that they've provided, but it is still
27 requires a considerable amount of work on the part of, in
28 this case, the Pacific Economics Group, to tease out what

1 really belongs in the distribution segment and what does
2 not.

3 As is, by the way, the case in, amongst our Ontario
4 distributors, where you might have a distributor being
5 involved in distribution or having some small generation
6 that you would need to factor out of their books.

7 Now, although there is no evidence of a systematic
8 long-term trend either acceleration or deceleration, there
9 is evidence of trends in productivity over shorter periods
10 of time.

11 These trends are captured by the smoother yellow
12 curve. Estimation of this kind of a non-linear trend
13 suggests variation of average productivity growth between
14 0.4 percent and just over 1 percent over this period, over
15 the period 1988 to 2006. And the technique that I have
16 used to estimate these shorter-term productivity trends is
17 based on moving averages. It is moderately more
18 sophisticated than simply taking moving averages, but
19 that's its fundamental cornerstone.

20 And this idea of taking them from the averages has
21 been around for a century or more. The specific technique
22 that I've used here, I described in one of the submissions
23 to the Board and is widely accepted and has been around for
24 at least a quarter of a century that I am familiar with.

25 Based on the moving averages, on these moving
26 averages, the most recent years of data suggests that we
27 are in a period of decelerating productivity growth, and
28 the recessionary effects in the US are likely to have a

1 continued adverse impact on productivity trends.

2 Let me return to the issue of the quality of the data,
3 which you have raised. The Pacific Economics Group has
4 advocated the use of these US distributor data and a number
5 of stakeholders have commented and expressed their
6 reservations with respect to these data.

7 Although my discussion will be focussed on their
8 proper use, the proper use of these data using statistical
9 techniques, that discussion should be understood in the
10 broader context of these less-than-ideal circumstances.
11 That is that the current dependence on US data and errors
12 that this can entail.

13 Before me, Julia made some suggestions along those
14 lines as well.

15 Productivity growth in the electricity distribution
16 industry during recent years has not only slowed in the US
17 as was evident from that graph, it has also showed in
18 Ontario. Pacific Economics Group estimates of productivity
19 growth for the period 2002 to 2006 are as follows: For the
20 US distributors, it's about 0.41 percent per year, well
21 below the long-term 0.72 average; and for Ontario
22 electricity distributors, it is 0.01 percent per year for
23 that same period.

24 There are additional estimates that suggest that
25 negative productivity growth may, in fact, have been
26 observed in these recent years.

27 Possible reasons for recent low productivity growth
28 rates in Ontario, there has been a changing and expanding

1 service mandate for distributors, such as conservation and
2 demand management. There is the aging infrastructure.
3 There are expanding regulatory requirements.

4 In addition, in the US, there have been recessionary
5 effects, and, in Ontario, we have observed job losses. All
6 of these are likely to have adverse effects on productivity
7 growth.

8 One must ask one self whether these factors are likely
9 to abate or reverse themselves during the upcoming
10 regulatory period.

11 MR. SOMMERVILLE: Dr. Yatchew, Ms. Frayer talked about
12 the pragmatic influence of her clients in developing what
13 she described as a pragmatic approach to the development of
14 this figure.

15 In terms of, for example, conservation and demand
16 management, how did your clients describe that as a drag on
17 productivity? How was that -- how did that materialize?

18 DR. YATCHEW: It complicates their operations, to the
19 extent that they can recover from other accounts costs
20 directly associated with this program that would wash out -
21 - at least in theory would wash out of these calculations.

22 However, it is a different learning curve. It is a
23 process where the objective is to decelerate the quantities
24 of output being sold, and, if those quantities are what
25 we're measuring in the numerator of a factor productivity
26 calculation, that performance measure is not going to look
27 as good. So there are certainly conflicting objectives
28 here.

1 MR. SOMMERVILLE: One would have thought that after
2 the so-called commercialization of the sector, that as time
3 goes by there would be some innate productivity gains
4 through, you know, just simple things like systems, being
5 able to manage the business in a much more effective way
6 just through experience.

7 Did that play a role in any of your assessments?

8 DR. YATCHEW: In my discussions with utilities, their
9 sense has been that they have been bringing in these
10 efficiency improvements, including what you have described
11 as systems management, IT, more advanced IT, insourcing
12 versus outsourcing.

13 These are all efficiency improvement channels that
14 were being explored as early as in the mid 1990s, and I
15 would suggest that if you look at the industry as a whole,
16 which has been in a kind of yardstick competition for many
17 more years, there was a fair amount of efficiency gain
18 through devices like outsourcing, having some central
19 company doing certain aspects of operations or the sharing
20 of capital amongst utilities.

21 So I think that that -- that the presence of multiple
22 utilities -- many utilities in this province contributed to
23 a kind of pseudo competitive effect or pressure that found
24 efficiencies for quite some time.

25 There was also quite a bit of comparison being done.
26 What I have not seen is an empirical analysis that would
27 try to estimate how much efficiencies were gained as a
28 result of the yardstick competition that even preceded the

1 first incentive regulation mechanisms that were put in
2 place.

3 MR. SOMMERVILLE: Thank you. That is helpful.

4 MR. VLAHOS: Dr. Yatchew, sorry, I want to take you
5 back to a few minutes ago when you went through your very
6 first graph showing the productivity factor annual growth
7 in TFP. You don't have to turn it up.

8 In any event, I think you mentioned if you were to put
9 a straight line, you said that it would show no slope?

10 DR. YATCHEW: Yes. Let me just turn up that graph.

11 MR. VLAHOS: And I am just going by the naked eye
12 here. If I put my pen down, it shows a slight increase,
13 naked eye. Did you actually produce some results on the
14 record on this?

15 DR. YATCHEW: Yes, I did.

16 MR. VLAHOS: You did?

17 DR. YATCHEW: I can give you an exact reference. It
18 was in a submission I made to the Board.

19 MR. VLAHOS: Was that questioned by anyone or...

20 DR. YATCHEW: I'm sorry?

21 MR. VLAHOS: Was that questioned by anyone?

22 DR. YATCHEW: I don't think anybody disputed it. It
23 was just a simple regression on a linear term to see
24 whether there was a systematic long-term trend.

25 MR. VLAHOS: You say it was essentially flat.
26 Essentially, unless it is a zero slope, was it a positive
27 or negative?

28 DR. YATCHEW: If you give me a moment, I might be able

1 to turn it up and I will tell you exactly.

2 MR. VLAHOS: That will help me.

3 DR. YATCHEW: Okay. This is found at -- in the
4 document filed on April 14th, 2008, 3rd Generation
5 Incentive Regulation For Ontario's Electricity
6 Distributors, submissions on behalf of the Electricity
7 Distributors Association under my name, Adonis Yatchew. It
8 is at page 16, and footnote 20, and the dependent variable
9 is the percentage TFP growth, and on the right-hand side
10 there is a constant and a trend term, the year.

11 The R squared for the model, that is the percentage of
12 variation in those blue -- in the blue line, percentage of
13 variation that would be explained by a simple linear model,
14 is 0.8 percent, less than 1 percent, for all practical
15 purposes an immaterial amount.

16 MR. VLAHOS: Sorry, that is the R squared?

17 DR. YATCHEW: Yes. And that's informative, because it
18 tells you --

19 MR. VLAHOS: There is no slope one way or another?

20 DR. YATCHEW: What it tells you is whatever the slope
21 is, it's not explaining very much of the variation.

22 So now let me return to the slope, which was what your
23 specific question was. The slope was 0.02, with a standard
24 error of 0.054, which implies a T statistic of 0.364, and
25 that means statistically indistinguishable from zero slope.

26 MR. VLAHOS: So we cannot tell? It could be upwards
27 sloping, downwards sloping, but whatever the slope is, it
28 is not significant?

1 DR. YATCHEW: It's not significantly different from
2 zero, and that is what I mean -- meant when I said it is
3 essentially a flat line --

4 MR. VLAHOS: Thank you.

5 DR. YATCHEW: -- over those years. I had estimated
6 this to begin with, because I thought that over time, as
7 incentive regulation would sort of take hold in the US, you
8 would expect an acceleration in TFP growth, and it is not
9 observed, at least not in these data.

10 MR. VLAHOS: Okay.

11 DR. YATCHEW: May I go ahead?

12 MR. VLAHOS: Please.

13 DR. YATCHEW: So let me turn now immediately to what I
14 believe to be a reasonable range for productivity growth in
15 Ontario, and I believe that range to be between 0.5 percent
16 and 0.6 percent, with a point forecast of 0.55 percent.

17 We can devise very sophisticated models trying to
18 weigh all of the various factors and incorporate a number
19 of variables. I am suggesting that this way of looking at
20 the problem is relatively straightforward and transparent.

21 Essentially, what it does is it says there is a long-
22 term target. That long-term target is 0.72 percent.
23 That's the long-term average productivity growth rate.

24 But the graphic that has been displayed suggests that
25 there are variations in -- systematic variations in
26 productivity growth, related to perhaps many factors, but
27 among them, the business cycle.

28 Perhaps they're related to certain political agendas

1 or changes and views in the industry. These are events
2 that don't change randomly from year to year. They persist
3 over a certain period of time, and therefore will have a
4 persistent effect over relatively intermediate periods of
5 time on productivity growth rates.

6 That would suggest that one would want to assign some
7 additional weight to the recent weights of productivity
8 growth.

9 The Ontario Energy Board in first generation IRM took
10 a similar view relatively straightforward, transparent,
11 sensible, we could quibble about the exact coefficients and
12 the exact weights but as a general approach, it is
13 sensible.

14 It took -- it assigned two-thirds weight to a long-
15 term productivity growth rate and a one-third weight to
16 recent patterns in productivity growth rate that could be
17 expected to continue, persist for some period of time over
18 the upcoming regulatory window. Applying the exact formula
19 that was put forth by this Board and using the 0.72 percent
20 figure for long-term productivity growth, the 0.01 percent
21 figure for recent Ontario growth, weights of two-thirds and
22 one-third yields a 0.49 percent productivity factor as one
23 estimate.

24 If we now use the same formula, but replace recent
25 Ontario productivity growth rates with recent US
26 productivity growth rates -- which are 0.41 percent -- then
27 one arrives at a higher figure of 0.62 percent.

28 MR. VLAHOS: Sir, by "recent" -- what's the definition

1 of recent?

2 DR. YATCHEW: It's the 2002 to 2006 period that is
3 found at -- this is the PEG calibration document put
4 colloquially or the calibrating rate indexing mechanisms
5 for 3rd generation incentive regulation, February 2008 at
6 page 54.

7 I appreciate those numbers may be updated with 2007
8 figures. I would be surprised if those results would
9 materially increase the target range.

10 Let me turn now to the proposal being put forth by the
11 Pacific Economics Group. That proposal is for a base
12 productivity factor of 0.88 percent. Keeping in mind that
13 the average over the entire period 1988 to 2006 is 0.72
14 percent, the 0.88 percent estimate proposed by PEG is
15 obtained by restricting the period over which the average
16 is calculated to about two-thirds of the original data set,
17 restricted to the years 1995 to 2006 and that restriction,
18 in turn, is derived from an analysis performed by PEG that
19 was called the "Start Date Analysis."

20 I would like to provide a few comments on the start
21 date analysis.

22 Essentially, this statistical procedure selects a past
23 year that is most similar from the point of view of weather
24 and economic conditions to the most recent year for which
25 data are available.

26 So you want to find a year somewhere in the past, but
27 not too distant past nor too recent, that is similar to the
28 present year both in terms of weather and economic

1 conditions, and at first blush there's some plausibility to
2 that, because if the initial year in the data set has
3 wildly different economic and wildly different weather
4 conditions than the last year, you might expect some biases
5 to get built in.

6 Nevertheless, I believe there is a fundamental
7 deficiency in this approach, and I would like to illustrate
8 it as follows: I am at slide 10. Suppose, for simplicity
9 of understanding the key issues here, that productivity
10 growth follows a cyclical curve as in figure 1 varying
11 between zero at its lowest and one at its highest over the
12 period 1989 to 2006.

13 Now let's apply this methodology that is being
14 proposed, which essentially says: Find the year occurring
15 before the year 2006 that is most similar to what we
16 observe in 2006.

17 Well in 2006, we observe a productivity growth rate of
18 0.5 percent, and in 1997 we observe that same productivity
19 growth rate.

20 So that's going to be the matching year. I guess this
21 isn't going to work. So...

22 MR. SOMMERVILLE: We can find it.

23 MR. VLAHOS: We can follow.

24 DR. YATCHEW: I actually wanted to point the laser at
25 certain points on the slide. There is a hand here
26 somewhere? There it is. Somebody is working it. The
27 magic. At any rate, what I want to point out is this:
28 That if you take a look at 1997 and 2006, you get exactly

1 the same value. You have a match.

2 Now what you want to do is you want to average over
3 that period 1997 to 2006. But by doing so, you have, in
4 effect, omitted all of the data preceding, because there is
5 no other observation here that has a value that is 0.5 that
6 matches the current year.

7 Now, the long-term average productivity growth in
8 these data is around 0.5. We can see that, because it is
9 more or less a symmetric curve around 0.5. On the other
10 hand, if we just consider the data after 1997, yes, thank
11 you, then we're going to get a value that is more like
12 0.75. If that's our estimate of long-term productivity
13 growth, we have overestimated long-term productivity growth
14 by about 50 percent.

15 In simplest terms, the problem that I have with the
16 start date analysis is that it searches for a single year
17 that is most similar to the most recent year, rather than
18 for entire period, a collection of data that is likely to
19 be representative of the future. Here is one example of
20 how this approach could fail.

21 And we have also seen how volatile TFP can be from
22 year to year. So a matching could be more accidental than
23 consistent with, with the hypothesis similarity.

24 Let me give a second argument that would argue for
25 using the entire data set that we have.

26 There is a fundamental idea in statistics which states
27 that the precision of an estimator increases as one
28 includes more data. If you have 100 observations on

1 randomly selected Canadians and average their heights, you
2 will get an estimate of the average height of a Canadian.
3 But you will get a generally much better estimate if you
4 had 200 observations or 300 observations. The larger the
5 data set the more likely you are going to get a more
6 accurate estimate.

7 Returning to the present context, as sample size
8 increases year-to-year fluctuations, unusual observations,
9 or outliers are averaged out. Thus, if the concern which
10 was expressed by the Pacific Economics Group is that the
11 initial year in the sample can inappropriately influence
12 the estimate of long-term productivity growth, a more
13 sensible way to alleviate this concern is to increase the
14 sample size, because then each observation, including the
15 first observation, is getting less -- progressively less
16 and less weight. That's what averaging is all about.

17 By including the entire sample period 1988 to 2006,
18 rather than limiting the data to the sub-period 1995 to
19 2006, one effectively increases the sample size by about 50
20 percent and thereby increases the accuracy and reliability
21 of the estimator.

22 I would add that the Pacific Economics Group has
23 asserted that weather can significantly affect estimates of
24 productivity growth. Year-to-year weather effects, unlike
25 business cycle effects, which really do have a cyclical
26 impact -- year-to-year weather effects are generally
27 uncorrelated, so that including more observations will help
28 to average out this source of randomness more quickly.

1 I have abstracted from -- any systematic climate
2 change effects in that argument.

3 Let me return to this -- to the real data now and to
4 this graph, which I think is really quite informative.

5 Neither the raw data, the volatile blue line, nor the
6 non-linear trend model or the moving average model, which
7 has been estimated, would suggest that the data prior to
8 1995 does not belong and should, therefore, be excluded.

9 That's not the case in all circumstances. From time
10 to time, we run into a regime change where all bets are
11 off. There is a new system in place, whether it is a
12 political change or technological change. Certainly in
13 electricity demand, we saw a dramatic drop of electricity
14 demand and electricity growth from 7 percent year over year
15 down to about 3 percent year over year, and that occurred
16 somewhere in the 1980s, early 1990s.

17 Those old data would not be terribly informative of
18 what should be happening now.

19 But I am not seeing that kind of precipitous change
20 here that would cause me to want to exclude the earlier
21 data.

22 On the contrary, the early 1990s were a period of
23 relatively higher unemployment, which arguably should not
24 be excluded precisely because the subsequent years enjoyed
25 higher employment levels and are, therefore, not likely to
26 be representative of the longer term.

27 If I may summarize - and I have probably exceeded my
28 20 minutes - I would recommend a productivity factor of

1 0.55 percent. This combines the entire 1988 to 2006 period
2 with an average productivity factor of 0.72 percent, a
3 figure that was calculated by the Pacific Economics Group,
4 and assigns additional weight to the most recent years,
5 2002 to 2006, when we have observed slower productivity
6 growth.

7 Whatever number the Board ultimately settles upon, I
8 would urge the Board to take these two key factors into
9 account: The long-term average productivity growth rate
10 and the more recent patterns of slower productivity growth
11 rate.

12 One can have reasonable differences on how to weight
13 those two in the bigger picture, but, in my view, both
14 elements need to be embedded in the estimates.

15 The Pacific Economics Group productivity factor of
16 0.88 percent, in my view, inappropriately restricts the
17 data to the period 1995 to 2006 and does not assign any
18 additional weight to the more recent data.

19 Thank you.

20 MR. SOMMERVILLE: Thank you.

21 I have no questions, nor does Mr. Vlahos at this time.

22 Dr. Kaufmann, can you proceed, please?

23 **ONTARIO ENERGY BOARD STAFF**

24 **PRESENTATION BY DR. KAUFMANN:**

25 DR. KAUFMANN: Okay, thank you. I should say that I
26 have a written statement which follows my presentation,
27 although somewhat loosely, but I will read to you directly
28 from my statement.

1 Good afternoon, everyone. To those of you who don't
2 know me, my name is Larry Kaufmann and I am a partner of
3 Pacific Economics Group.

4 For the last ten months or so, I have had the pleasure
5 of advising the Board Staff on the development of 3rd
6 generation incentive regulation mechanism for the
7 electricity distributors in Ontario.

8 Our work began with a series of meetings with the
9 working group of stakeholders representing the companies,
10 customers, employees of the electricity distribution
11 industry. The process has culminated in a July 14th report
12 of the Board on 3rd generation incentive regulation.

13 This Board report establishes a comprehensive
14 framework for incentive regulation of the Ontario
15 distributors and reaches decisions on most of the specific
16 elements of a 3rd generation incentive regulation plan,
17 including the broad methodologies the Board will use to set
18 the productivity factor and stretch factor components of
19 the X factor.

20 As an incentive regulations specialist who has worked
21 on these issues throughout the world for over the last 15
22 years, I can honestly say the Board report represents one
23 of the most thoughtful, cogent and well-reasoned incentive
24 regulation determinations by any energy sector -- any
25 energy sector regulator.

26 Indeed, I believe this report may one day view be
27 viewed as a landmark decision that helped to structure and
28 rejuvenate the application of incentive regulation

ASAP Reporting Services Inc.

(613) 564-2727

(416) 861-8720

1 throughout North America.

2 Everyone involved in the process can take pride in the
3 good work that has been done to date, and I would
4 especially like to express my gratitude to the
5 conscientious Board Staff members I have worked with and
6 the stakeholders who participated in the working group
7 discussions.

8 Largely because of their contributions, I believe we
9 have gone a long way towards satisfying the Board's
10 objectives of developing a framework that will lead to
11 sustainable, predictable, effective and practical incentive
12 regulation for Ontario's electricity consumers.

13 However, as we all know, our work isn't done yet. The
14 July 14th report has indicated the Board would be assisted
15 by further consultation on specific values to be
16 established for three key incentive regulation parameters,
17 the productivity factor, the stretch factors and the
18 materiality threshold for the capital investment module.

19 For many interested parties, these numbers are really
20 where the rubber meets the road. The specific values
21 determined for these parameters will have significant,
22 concrete implications for the rates that customers pay and
23 the revenues the companies earn.

24 But while we all recognize the importance of getting
25 these parameters right, or at least as right as regulatory
26 economics and accounting is capable of doing, we must also
27 recognize we are not engaged in a results-oriented
28 exercise. Ultimately, the reasonableness of any proposed

1 value for an incentive regulation parameter depends on the
2 methodology and data used to derive and support that value
3 and not the numerical result, per se.

4 Any method that is used to set incentive regulation
5 parameters for 3rd generation IRM must therefore be
6 consistent with objective, rigorous economic research, not
7 simply something that can be feasibly implemented using
8 available data.

9 It would also frustrate Board's goals of creating a
10 sustainable, predictable, effective and practical incentive
11 regulation framework if, in the interests of expediency,
12 our well-intentioned desire to place more weight on Ontario
13 data, we adopt methods for estimating productivity factors
14 that are logically inconsistent with how distribution rates
15 have been set in the past and will be updated in the
16 future.

17 Clearly, any productivity factor estimate that is
18 contrary to ratemaking practice in Ontario cannot be
19 sustainable in the long run. So there would be no value in
20 using it now for setting 3rd generation incentive
21 regulation IRM parameters.

22 With that backdrop in mind, let me briefly explain the
23 methodology that I used for recommending a value for the
24 productivity factor for 3rd generation incentive
25 regulation.

26 I will then turn to the other proposals that have been
27 put forward for developing values for the productivity
28 factor.

1 When I began my work for Staff, I of course knew that
2 total factor productivity, or TFP trends, were estimated
3 for Ontario distributors for the 1998 through '97 period as
4 part of first generation incentive regulation.

5 My initial objective was to update these TFP estimates
6 to include more recent data for the Ontario industry.
7 However, I soon learned that this was not possible, since
8 there is a gap in the available Ontario data.

9 Data were not readily available for the years 1998
10 through 2002, although a consistent data series was
11 available since 2002. My discussions with OEB Staff
12 indicated that it would not be possible to close this data
13 gap for the Ontario industry without undertaking a
14 significant data collection and data reconstruction
15 project.

16 This would be long-term endeavour and it was not
17 feasible, in the limited time we had available, to prepare
18 a draft report which contained our productivity and stretch
19 factor recommendations.

20 Using available data, however, PEG did estimate TFP
21 trends for Ontario distributors for the 2002 through 2006
22 period. We found that TFP growth was essentially
23 negligible over this period, with average growth of
24 0.1 percent per annum. This compared with appear average
25 TFP trend of 0.86 percent that was calculated in first
26 generation IRM.

27 Now, at this point there were some options for relying
28 entire on Ontario data to set the productivity factor.

1 These options were essentially to use the TFP trend
2 estimated for 1988 through '97 the more recent TFP trend
3 estimated for 2002 through 2006, or some combination of the
4 two.

5 Regarding the more recent trends, I quickly concluded
6 that using only the 2002 through 2006 TFP trends was not
7 reasonable. It's my strong opinion that a productivity
8 factor should never be estimated using only four years' of
9 TFP changes, because TFP can be very volatile from year to
10 year, as Dr. Yatchew has pointed out, and four years of
11 growth is not a long enough period to balance out these
12 fluctuations and obtain a good estimate of the underlying
13 long-run TFP trend.

14 This opinion is supported by the TFP research done in
15 first generation IRM. While TFP growth averaged
16 0.86 percent over the 1988 through '97 period productivity
17 growth were very different between the first and second
18 halves of this sample. TFP actually declined by 0.01
19 percent per annum in the first half of this sample from
20 1988 to '93.

21 TFP increased by a brisk 2.05 percent in the second
22 half of this sample from 1993 to 1997.

23 This means --

24 MR. SOMMERVILLE: Dr. Kaufmann, again, sir, bringing
25 us back to sort of a pragmatic aspect, how would we account
26 for those differences? What do we see in the real world
27 that would result in a productivity factor of two and
28 change in the latter part of that sample as opposed to the

1 previous -- what is it attributable to?

2 DR. KAUFMANN: It could be attributable to things
3 either within the utility itself or things in the broader
4 business environment. In the broader business environment,
5 the broader environment they operate in, the sort of
6 factors can be the sort of factors that we in fact
7 controlled for in our start date analysis things like the
8 state of the economy. That can impact growth. It can
9 impact kilowatt-hour sales, peak demand.

10 Obviously that's going to be dependent on the economy.
11 It can be impacted by weather. Weather is variable from
12 year to year. That's going to have an impact on the total
13 sales of companies, of distributors and therefore on output
14 growth. So those are the sort of broader economic things.
15 Within the companies, it can be variable for a number of
16 reasons, asset replacement patterns, the timing of
17 inspection cycles, maintenance cycles all of those things
18 can vary from year to year. They can all come together in
19 unpredictable ways so that in any given year, the TFP
20 changes can be either up or down.

21 MR. SOMMERVILLE: Do you have any idea as to what the
22 growth in TFP during that second half of the segment, what
23 were the driving causes? Was it simply a matter of more
24 throughput? Just more demand?

25 DR. KAUFMANN: It wasn't that. Because I wasn't
26 responsible for that TFP estimate. But in that TFP
27 estimate, demand did not play a role.

28 Output was measured entirely by customer numbers in

1 that TFP study. So at least in that case it wasn't due to
2 demand. Again, it wasn't my study, so I am not sure --
3 there wasn't a lot of supporting detail on where those
4 numbers came from, so I don't think it is possible to
5 determine exactly what led to the more rapid growth in the
6 seconds half of the sample.

7 MR. VLAHOS: I want to make sure I understand, there
8 is no difference in the interpretation of the word
9 "demand." Demand... did you mean...

10 MR. SOMMERVILLE: Basically throughput.

11 MR. VLAHOS: Throughput, is that what you meant?

12 DR. KAUFMANN: Energy or demand. Kilowatt-hours or
13 kilowatts, neither one of them were in the model.

14 MR. VLAHOS: When you answered the question, you had
15 in mind both of them? Or just demand?

16 DR. KAUFMANN: Neither. Neither kilowatt-hours nor
17 kilowatts were in the output specification, in that model,
18 in IRM 1.

19 MR. VLAHOS: All right.

20 DR. KAUFMANN: I can say something, though, about the
21 more recent US TFP deceleration, that's something that has
22 been discussed.

23 It has been suggested that the decline in 2002 through
24 2006 in the US may have been due to slower growth, and in
25 fact that wouldn't be a reasonable thing to think that's
26 causing that decline, because the US wasn't in recession
27 over those years.

28 The US did have a very mild recession in 2000-2001.

1 The economy began to recover in 2002, and by 2003 through
2 2006, there is actually fairly healthy growth in the
3 economy. But one thing was very different in that period
4 compared to the late '90s, and that was pension
5 contributions.

6 In the late '90s, a lot of companies conserved on the
7 contributions they made to their pension plans, because of
8 the fast growth in equity markets during those years. They
9 didn't have to make ongoing monetary contributions to still
10 meet their obligations. That obviously changed in 2000,
11 and that's -- I think that is an important demonstration of
12 the volatility of the sort of decisions that companies can
13 make internally, for good rationale reasons that can tend
14 to raise their TFP growth over a multi -- over a short
15 period of time, but over time, they have to catch up.

16 I think that is one of the things that we do see, TFP
17 tends to increase relatively rapidly in the late '90s in
18 the US, that was one of the reasons for US distributors.

19 One of the main factors leading to a deceleration in
20 TFP in 2002 through 2006 was the catch-up in pension
21 contributions.

22 MR. SOMMERVILLE: Thank you.

23 DR. KAUFMANN: So on the issue of first generation
24 estimated TFP growth and what its implications were, this
25 means that if staff had relied only on the first four
26 sample years as the basis for its productivity factor, it
27 would have selected a negative productivity factor of
28 negative 0.01 percent.

1 This would have dramatically understated the TFP
2 growth that the industry actually experienced in the
3 following four years. I believe this is a compelling
4 illustration of the dangers of relying on only four years
5 of TFP change for setting the productivity factor.

6 It is therefore not surprising that no energy sector
7 regulator has ever approved an x-factor on the basis of
8 such a short TFP study.

9 It also dramatically underscores the fact that if TFP
10 is flat or declining as has apparently been the case
11 recently for the Ontario industry, this does not
12 necessarily imply that TFP growth will be flat or negative
13 in the future.

14 In fact, the actual past experience from Ontario
15 distributors indicates that the opposite has been the case.

16 A second option for using only the Ontario data was to
17 rely on the trends estimated in first generation IRM.
18 However, this was not appealing because the sample period
19 that was used to estimate TFP would have ended more than
20 ten years before third generation IRM took effect.

21 Relying on TFP trends that are more than a decade old
22 is not consistent with a long-run sustainable incentive
23 regulation framework. Regulators should have access to and
24 rely on much more current information as the basis for
25 establishing incentive regulation plans.

26 A third option was to combine the two estimates in
27 some way. However, this was also not appealing because the
28 two estimates were separated by the gap years of 1998

1 through 2002. Simply ignoring this gap was untenable but
2 there was no way to rectify it because of the data
3 constraints in Ontario. I also believe that undertaking
4 some type of weighted average of TFP trends for disjointed
5 non-consecutive periods would have been arbitrary and
6 established a poor precedent going forward.

7 Clearly, TFP trends will be far more credible and
8 likely to be accurate if they are developed over a
9 continuous time period rather than over two distinct and
10 non-overlapping periods.

11 I therefore found that given available information, it
12 was not possible to use only Ontario data to estimate the
13 productivity factor.

14 This was contrary to my objectives at the outset of
15 the project. However, circumstances and data constraints
16 made my original work plan impossible since relying only on
17 the available Ontario TFP estimates, but if either led to
18 unreliable measures of long-term TFP trends or required the
19 use of arbitrary ad hoc methods that were not consistent
20 with the Board's objectives to develop sustainable
21 incentive regulation framework. I had to develop an
22 alternative approach. And I decided to examine the
23 suitability of TFP trends for US distributors as a proxy
24 measure.

25 My firm, PEG develops and updates these TFP measures
26 consistently as part of our incentive regulation consulting
27 practice. TFP information for a US distributors is
28 therefore available continuously for long sample periods.

1 PEG has also presented our TFP studies in many North
2 American incentive regulation proceedings. After intense
3 scrutiny and review, regulators have proved our TFP
4 estimates as the basis for the approved productivity
5 factors for numerous gas and electric utilities incentive
6 regulation plans.

7 PEG's TFP therefore provides a feasible, rigorous and
8 prudent source of productivity information that could be
9 applied in new incentive regulation applications.

10 For 3rd generation IRM, the issue was whether our TFP
11 estimates for US distributors were a good proxy for Ontario
12 TFP trends, which, again, could not be continuously
13 estimated using consistent, rigorous methodology over a
14 period that is long enough to yield a reliable estimate of
15 the underlying TFP trend.

16 I examined this issue by undertaking a side-by-side
17 comparison of our TFP estimates for US distributors with
18 the available TFP information from Ontario.

19 I discovered that the TFP growth for US distributors
20 was a reasonable, although not perfect, proxy for measured
21 contemporaneous trends in Ontario.

22 For example, in both Ontario and the US, TFP growth
23 was essentially flat over the 1988 through '93 period.
24 More precisely, it was negative 0.01 percent in Ontario and
25 a positive 0.1 percent for the US.

26 TFP growth turned sharply positive in the US and
27 Ontario in 1993 through '97, although the upswing, which I
28 have already mentioned was 2.05 percent, was relatively

1 greater in Ontario.

2 It is impossible to compare 1998 through 2001 because
3 of the lack of Ontario data, but in 2002 through 2006, TFP
4 decelerated in both the US and Ontario.

5 Over the 13 years for which TFP growth could be
6 calculated, the average TFP growth rates in the US and
7 Ontario differed by only 0.01 percent. That is, for
8 practical purposes, they were essentially the same.

9 Given this experience, I concluded the TFP trends for
10 US distributors were a reasonable proxy for Ontario and a
11 reasonable productivity factor could be calculated using
12 the continuous TFP indexes that were developed for the US
13 industry.

14 My analysis showed that the current estimate of a
15 long-term TFP trend for the US distributors was 0.88
16 percent per annum, and this was the value I recommended for
17 3rd generation IRM.

18 Clearly, my recommendation for the productivity factor
19 is based on a proxy, but given the current data in Ontario,
20 this is unavoidable. Some type of a proxy must be
21 developed, because TFP cannot be continuously estimated for
22 Ontario distributors.

23 But it should be noted that our fundamental
24 methodology for estimating TFP and developing the
25 productivity factor can be easily extended to Ontario data
26 as more information becomes available.

27 In fact, by the time 3rd generation IRM is completed,
28 PEG's methodology can be applied entirely to Ontario data

1 and it will yield a reliable estimate of the industry's
2 long-term TFP trend.

3 My recommendation, therefore, embodies not just a
4 value for the productivity factor for 3rd generation IRM,
5 but a clear transition path for developing feasible,
6 rigorous productivity factors using entirely Ontario data.

7 This is important, because it means that PEG's
8 recommendation is consistent with developing a sustainable,
9 long-run incentive regulation framework. Our methodology
10 is also clearly practical and will be effective, since it
11 utilizes proven techniques for estimating productivity.

12 The methodology itself is also predictable, since it
13 will be sustained from application to application, although
14 it will be transferred from US to Ontario data as the
15 latter become more available.

16 I therefore believe that our methodology best
17 satisfies the objectives laid out by the Board at the
18 outset of IRM 3, which was the reason I recommended it.

19 Turning briefly to the other proposed values. On
20 behalf of the Coalition Of Large Distributors, London
21 Economics has presented what it claims are several
22 estimates of 20-year TFP trends for the Ontario industry.

23 I have numerous problems with their TFP estimates.
24 Let me focus on one element, which, to be blunt, makes
25 their work a non-starter for any serious discussion of
26 these issues, and that element is the measurement of
27 capital.

28 TFP growth for an industry is defined as the growth in

1 that industry's total output quantity minus the growth in
2 its total input quantity. So we all know electricity
3 distribution is a very capital-intensive industry and
4 capital is the biggest input for electricity distributors.

5 How capital is measured will therefore have a very
6 significant impact on distributors' measured TFP trend. In
7 the London Economic study, capital is measured using a
8 single variable, which is the total kilometres of line.
9 Now, we all know that kilometres of line does not
10 accurately measure the capital stock of any distributor
11 currently operating in Ontario.

12 In addition to having lines, distribution assets
13 include substations, poles, meters, trucks, CIS systems,
14 SCADA and OMS systems, personal computers and software and
15 similar items.

16 When a utility sets its rates to recover depreciation
17 and carrying costs of these capital goods, it does so with
18 reference to the aggregated monetary values of these
19 disparate assets net of their depreciation.

20 London's TFP study completely ignores this monetary
21 valuation of assets, which is fundamental to ratemaking, in
22 favour of what it calls a physical method for estimating
23 capital stock.

24 But since physical asset measures are not used to set
25 rates at the outset of a plan, it follows that London is
26 proposing to use a productivity factor to adjust
27 distribution rates that, over time, bears no relationship
28 to how those rates were originally set.

1 This is one of many logical inconsistencies in
2 London's proposal, and I will discuss some others shortly.
3 Before I do, it is necessary to point out one other
4 critical aspect of the London methodology, and that is
5 their TFP model assumes that there is no physical decay of
6 distribution assets over time.

7 London has not simply claiming that distribution
8 assets are long lived and therefore decay slowly, but,
9 rather, that there is zero physical decay in all years that
10 an asset is in place until the day it is retired or
11 entirely replaced.

12 In the economics literature, this is known as a one
13 hoss shay pattern of depreciation, and I regret that I
14 introduced that term, because it may come up quite a bit in
15 the next couple of days. London says, in its presentation,
16 that economic theory, empirical evidence, industry
17 experience and recent regulatory precedence all support the
18 recognition of one hoss shay depreciation.

19 I am more than happy to engage in a technical debate
20 on one hoss shay depreciation, although I hope we can avoid
21 it, but I am confident the more we talk about this issue,
22 the more it will become clear to objective, open-minded
23 individuals that London's position is not the truth.

24 But before we begin any arcane debates on the finer
25 points of depreciation, I would like to consider two
26 implications of London's assumption of one hoss shay
27 depreciation and the resulting use of kilometres of
28 distribution line to measure capital.

1 First, if London believes that physical capital
2 quantities should be used to adjust rates in 3rd generation
3 IRM, then it must also revise its recommendation for the
4 materiality threshold.

5 This is because the rate adjustment mechanism in IRM 3
6 includes two potential adjustments to recover the costs of
7 capital inputs.

8 The first is the productivity factor. As London has
9 recently acknowledged, the productivity factor adjusts
10 distribution revenues to recover some amount of capital
11 expenditures. The second potential mechanism nor
12 recovering the cost of capital inputs is the capital
13 investment module.

14 But the productivity factor remains the primary
15 vehicle for recovering cost -- capital costs in IRM 3, and
16 its primacy is evident in the fact that the productivity
17 factor is part of the core plan that is applied to all
18 distributors, while the capital module is simply an option
19 that some distributors may choose to invoke, provided they
20 satisfy certain conditions.

21 To put this more colloquially, when recovering the
22 costs of capital inputs in IRM 3, the productivity factor
23 is the dog and the capital module is the tail. And the
24 capital measure that is used to recover capital costs in
25 the main body of the dog must also be used for the tail.

26 This is not true of the London proposal. London's
27 productivity factor links capital cost recovery to changes
28 in kilometres of line, but its capital module ties capital

1 cost recovery to changes in capital expenditures. They
2 simply can't have it both ways, and what is good for the
3 goose is good for the gander.

4 If London's position is that capital is adequately
5 measured by kilometres of line, its capital module must be
6 revised to reflect that. But if rate adjustments via the
7 capital module depend on monetary capital values, then
8 London's TFP study must also be revised so the capital is
9 measured monetarily.

10 It is logically insupportable to use two contradictory
11 capital measures to recover capital costs in the same
12 adjustment mechanism.

13 Another implication of London's capital measure is
14 that all distribution costs, excluding tree trimming, are
15 imprudent and should be disallowed when rates are rebased.

16 I am sure this conclusion will come as a surprise to
17 distributors, but if London truly believes that
18 distributors' assets are characterized by one hoss shay
19 depreciation, then there is never any physical decay of
20 those assets, and every dollar that is spent to maintain
21 those assets must be wasted.

22 It would not be prudent for ratepayers to pay these
23 costs, so companies should either be willing to discontinue
24 the maintenance programs or to accept the completed
25 disallowance of maintenance costs when rates are set.

26 So, I know that is a controversial and provocative
27 statement and I don't believe it myself, but I just want to
28 make the point that before we launch into any abstract

1 theoretical debates on depreciation, I propose that we
2 begin our consideration of the adequacy of London's
3 productivity factor by addressing two questions where we're
4 much more familiar, conventional ratemaking ground.

5 First, do distribution rates recover the monetary
6 values or physical measures of a distributor's capital
7 inputs? If the answer is monetary values, then why is it
8 appropriate for a mechanism that adjust rates over time to
9 ignore monetary capital expenditures?

10 Second, if distribution assets never experience any
11 physical deterioration, why is it appropriate for
12 distribution rates to recover maintenance costs that are
13 designed to offset or prevent physical decay? I believe we
14 need reasonable answers to these puzzles before we progress
15 to more academic points.

16 Another productivity factor has been put forward by
17 Professor Adonis Yatchew on behalf of the Electricity
18 Distributors Association. Professor Yatchew raises three
19 main concerns with my proposed productivity factor.

20 First, he said that PEG's method for determining a
21 start date for estimating TFP is incorrect because it
22 searches for a single year that is most similar to the
23 recent year, rather than for a period that is likely to be
24 representative of the future.

25 Furthermore, he says our method - and here I am
26 quoting from his presentation:

27 "...has a fundamental flaw which can
28 be illustrated as follows: Suppose

1 productivity growth follows the
2 cyclical curve in figure 1, varies
3 between zero and one, and averaging
4 about 0.5 percent over the period
5 1989 and 2006."

6 Professor Yatchew's use of the word "suppose" is
7 critical and revealing for it shows he is making an
8 assumption that productivity growth follows a cyclical
9 path. But he offers no evidence to support this view and
10 his critique depends on that assumption, that is, if
11 productivity growth does not display the cyclical behaviour
12 he assumed, then his conclusion regarding PEG's analysis
13 does not follow.

14 While I appreciate Professor Yatchew's examination of
15 US TFP behaviour, I do not believe his conclusion that our
16 analysis has a fundamental flaw is a fair one, since it
17 depends entirely on the assumption that distribution TFP
18 obeys a regular observable cycle. Professor Yatchew has
19 simply assumed this and not presented any evidence that
20 cyclical behaviour has either been systematic in the past
21 or can be expected to persist in the future.

22 Let me now temporarily assume he is right. Suppose
23 there is cyclical behaviour in TFP. The question is, has
24 Professor Yatchew presented a practical method for helping
25 us locate a period that -- that is, again, I am quoting,
26 likely to be representative of the future.

27 I don't believe he has, because according to his
28 method, you have to know exactly where you are in the cycle

1 to know where TFP is going in the future.

2 This is an extremely difficult thing to know.
3 Understanding the twists, turns, frequency and amplitudes
4 of economic variables that display cyclical patterns is a
5 very tricky business. In the present context, I don't
6 believe we have anywhere near enough information or
7 knowledge to forecast the cyclical behaviour of TFP going
8 forward.

9 I would like to present an example which I believe
10 illustrates the difference between what Professor Yatchew
11 is recommending to estimate TFP growth, and what I have
12 done in my work, and that example is the stock market.

13 As we all know, probably from painful personal
14 experience, stock markets don't always go up. Over longer
15 periods, however, stock prices do tend to increase in real
16 terms albeit with a lot of booms, busts, and corrections
17 along the way.

18 Let's say we want to forecast how much stock prices
19 will increase on average over the next ten years.
20 Professor Yatchew would say that we need to know the entire
21 cycle of stock market prices and where we are in it to make
22 this prediction but this immediately raises the question,
23 what is the cycle. For example, in the recent past, the
24 Dow Jones increased by an average 17 percent per annum,
25 between January 1996 and August 2000, fell by 11 percent
26 annually between 2000 and 2003, increased about 11 percent
27 annually between 2003 and 2007, and fell by an average of 6
28 percent per annum between January 2007 and June 2008.

1 Do we expect this recent observed cycle of stock
2 prices to persist and if not, why not?

3 We will get very different answers for future growth
4 rates in stock prices, depending on where we are, where we
5 believe we are in the cycle. And because the predictions
6 are very sensitive to the cyclical starting points, the
7 potential to make large prediction errors is also likely to
8 be large.

9 My approach is different. If applied to equity
10 markets I would not try to identify the twists and turns of
11 the market, but rather assume that there is an underlying
12 long-term trend in stock market prices which is likely to
13 be a good predictor of where the market will go over a
14 multi-year future period.

15 However, I would go beyond simply calculating average
16 growth rates over two arbitrary points because we know the
17 measured growth rate can be distorted by transitory factors
18 that can impact stock market or TFP index levels in any
19 given year.

20 In TFP estimation these transitory factors are weather
21 and overall economic activity and these are the factors I
22 controlled for in my analysis.

23 Stock markets are driven by earnings in the long run.
24 So these transitory factors may be captured by the price
25 earnings ratio for stock market indexes. For example, if
26 the price earnings ratio is especially high relative to
27 long run history, as it was in March 2000, then it would
28 not be reasonable to expect the measured trend up to that

1 point to be representative of stock market trends going
2 forward.

3 If the IRM basic methodology for estimating TFP was
4 applied to the stock market, it would first obtain a
5 measure of the current PE ratio, locate a past date in
6 which the PE ratio was similar and compute the average
7 growth rate of stock prices between these two dates.

8 This method is very similar to what I did for
9 estimating TFP growth, and it is clearly feasible, controls
10 for transitory factors that can distort the measured index
11 values in any given year, and is likely to reflect the
12 ongoing long run trend in the underlying variable. Not
13 only is our approach much simpler than Professor Yatchew's
14 recommendation, which requires knowing the entire stock
15 market cycle, but I also believe it is likely to yield more
16 accurate predictions of the underlying long-term trend.

17 I should add, too, that just based on Professor
18 Yatchew's presentation that preceded mine, there actually,
19 his description of what we did is not an accurate statement
20 of how we actually located the start date. I would be
21 happy to expand on that at some point, but we do not search
22 for a previous year in which the TFP growth rate was
23 similar to the current year. Rather what we do is focus on
24 previous year in which transitory factors, being weather
25 and the unemployment rate, are similar to the current year.

26 If we have similar levels of those transitory factors
27 in a given year, between the two years, then the impact of
28 those transitory factors on measured TFP in that year is

1 likely to be similar. That's, again, analogous to the PE
2 example that I mentioned before. So we are focussing on
3 the business conditions, not the TFP growth itself.

4 Professor Yatchew's second concern is that PEG did not
5 use the entire 1988 through 2006 period to estimate the TFP
6 trend and he claims it is a fundamental idea in statistics
7 that larger samples deliver more precise estimates.

8 While this is generally true, it is not clear in the
9 present context that extending the sample period backwards
10 in time necessarily leads to a more precise estimate of the
11 current long-run TFP trends.

12 Suppose we could estimate TFP for US distributors
13 since 1900. Is the 1900 through 2006 TFP trend necessarily
14 more representative of the future than the 1995 through
15 2006 trend?

16 As I said in my February report, I believe that
17 estimating the long-run TFP trend requires striking a
18 balance between selecting a sample period that is short
19 enough to reflect current conditions and long enough to
20 average out random year-to-year fluctuations in TFP.

21 In nearly all regulatory proceedings a sample period
22 of about 10 or 11 years has been selected as an appropriate
23 balance of these goals which is consistent with what I have
24 recommended in IRM 3.

25 I should also mention two other points that are
26 relevant for the issue of the start date of my TFP
27 analysis.

28 First, I began the TFP analysis in 1988 because I was

1 undertaking a side-by-side comparison with the Ontario TFP
2 results. And the first TFP study for Ontario began in
3 1988.

4 If PEG had chosen to do so, we could have computed TFP
5 for US distributors for a longer period. There is
6 accordingly no economic or empirical significance related
7 to the year 1988 itself.

8 It was chosen simply to allow comparisons with the
9 existing Ontario data, but it does not represent the
10 longest feasible TFP trend that could be estimated for US
11 distributors.

12 Second, I have personally been involved in regulatory
13 proceedings where regulators have requested that I estimate
14 TFP trends over periods that exceed the standard 10 or 11
15 years but they have rejected these longer run trends in
16 favour of the 10 or 11 year average growth rate. This was
17 the case for Boston Gas where I originally presented a TFP
18 trend for the north-east gas distributors for the 1990
19 through 2000 period. Another year's worth of data became
20 available during the regulatory review, and in response to
21 a data request, I was asked to update the TFP trend to
22 include a new year's worth of data and also to extend the
23 TFP estimates back in time to 1984.

24 The Massachusetts Commission therefore could have used
25 the TFP trend that I estimated between the 1984-2001
26 periods about as long as Professor Yatchew is recommending,
27 but, instead, it used my estimated TFP trend from 1990
28 through 2001 as the basis for the productivity factor that

1 it approved in that plan.

2 Finally, Professor Yatchew claims that my
3 recommendation for the productivity factor does not put
4 enough weight on recent TFP experience. He notes that the
5 Board took recent and long-term TFP patterns into account
6 when it set productivity factor in first generation
7 incentive regulation.

8 Professor Yatchew then implies the Board selected two-
9 thirds and one-third weight from IRM 1 to two different
10 sets of TFP estimates developed by PEG. The first is the
11 18-year US TFP trend and the four-year Ontario TFP trend,
12 which yields a value of 0.94 percent. The second is the
13 18-year US TFP trend and the four-year US TFP trend, which
14 yields a value of 0.62 percent.

15 Professor Yatchew's recommended productivity factor of
16 0.55 percent is essentially the midpoint of these
17 calculations.

18 I have four main concerns with Professor Yatchew's
19 final recommended productivity factor. First, the Board
20 has approved productivity factors for two incentive
21 regulation decisions since the IRM 1 decision more than
22 eight years ago, yet in both of these instances it did not
23 repeat the methodology for estimating the productivity
24 factor that was adopted in that decision.

25 Clearly, the Board does not believe that it is bound
26 by the IRM 1 precedent.

27 Second, PEG's approach for setting the productivity
28 factor does take recent TFP information into account and it

1 does so in a manner that, in my opinion, has a stronger
2 analytical foundation for distinguishing between transitory
3 and long-run factors that drive TFP growth than was adopted
4 in IRM 1 or than has been proposed in any of the
5 alternative proposals.

6 Third, because TFP can be volatile over relatively
7 short periods, I believe repeated applications of the IRM 1
8 approach or any approach that weights recent TFP growth
9 differently than longer-term trends can potentially
10 exacerbate volatility in the productivity factor, and,
11 therefore, volatility in rate adjustments over time.

12 This would run counter to the Board's objective of
13 creating a predictable incentive regulation framework.

14 Finally, I believe Professor Yatchew's method of
15 calculating the productivity factor is not consistent with
16 the most appropriate sustainable incentive regulation
17 framework. Professor Yatchew's recommended productivity
18 factor mixes US and Ontario data in relatively arbitrary
19 ways.

20 I have relied on US TFP trends as a proxy for Ontario
21 trends only because there was not sufficient Ontario data
22 to compute a reliable TFP trend for IRM 3.

23 However, in IRM 4 and all future incentive regulation
24 applications, my method can be transferred easily in
25 Ontario and entirely to Ontario data. This will allow a
26 clean transition to the appropriate long-run basis for
27 estimating productivity factors and is therefore more
28 compatible with the Board's objective of sustainability.

1 In closing, let me say that I look forward to debating
2 these issues with my colleagues, and I will keep an open
3 mind regarding alternatives views and values as I tried to
4 do in the entire process. As an advisor to Staff, my
5 primary objective has always been to adopt the best usable
6 data and the most rigorous, objective methods for
7 estimating incentive regulation parameters.

8 As we turn to finalizing these values, I will remain
9 impartial regarding particular numerical results, but,
10 rather, let the data and analysis dictate the outcome.

11 Thank you.

12 MR. SOMMERVILLE: Thank you, Dr. Kaufmann. We will
13 continue until 3:30, and then take a short break, and then
14 continue on to 4:30.

15 Mr. Vlahos.

16 MR. VLAHOS: Yes, thank you. Dr. Kaufmann, just a
17 question. Your method will allow the continuation for 4th
18 generation IRM, you say.

19 What's wrong with adopting the methodology going
20 forward, but not necessarily adopting it for IRM 3? What
21 are we violating here, if we were to say that your
22 methodology is sound and it will probably produce good
23 results going forward because of availability of Ontario
24 data, but in the interim that may not be the best model?

25 So what are we going to violate by saying that?

26 DR. KAUFMANN: I guess I would have to know why it is
27 not the best model for IRM 3, if it is the best model and
28 what we plan to transition to for IRM 4.

1 I would think that the only difference between IRM 4
2 and IRM 3 is the use of the data. IRM 4, I think the
3 expectation -- more than the expectation. I think it is
4 close to certain there will be enough data to estimate TFP
5 for Ontario for a long enough period to calculate a TFP
6 trend.

7 So the only reason that we're not doing that now is
8 because of the data. So I guess I would have to wonder why
9 there is -- there would be an interim sort of decision that
10 would be necessarily better. I would have to know why it
11 is better than what we plan to adopt in IRM 4 to really
12 give you an answer to the question.

13 MR. VLAHOS: I notice that is a point of departure
14 between yourself and London Economics is the use of the
15 number of years of data.

16 DR. KAUFMANN: Yes.

17 MR. VLAHOS: Yours is less than ten. Eleven years is
18 pretty common in other jurisdictions.

19 Twenty years has been out of scope?

20 DR. KAUFMANN: I am not aware of any plans that have
21 used 20 years of data -- that have estimated a TFP based on
22 20 years' worth of data.

23 MR. VLAHOS: I will ask you to repeat that. What is
24 the criticism of going to 20-year data as opposed to a
25 shorter time frame like 10 years?

26 DR. KAUFMANN: The criticism -- my particular
27 criticism with the 20-year TFP trend is not that it is 20
28 years, but that it is constructed -- basically, it's pieced

1 together TFP trends for -- that have been done in various
2 applications, and the last piece that has been added is --
3 uses a capital formulation which really is not acceptable
4 for TFP estimation. It is not something that should ever
5 be done.

6 So, ultimately, my problem with the TFP study that has
7 been put forward is not the 20-year value, per se, but it
8 is the values that go into that 20 years.

9 MR. VLAHOS: Let me ask you this.

10 If you had a -- if data was not a restriction for you,
11 if you had 20-year data and ten-year data, would it be a
12 de facto preference for a ten-year data as opposed to 20,
13 or you would be indifferent?

14 DR. KAUFMANN: I don't focus on the number of years
15 per se. The start date analysis is really focussed on
16 trying to pick some past period which is similar to the
17 current period, the most recent period, in terms of the
18 transitory factors, to make sure the trend isn't distorted
19 by weather or the unemployment rate or things like that.

20 So I think that is the key issue for selecting a
21 period is to try to make sure that those factors are
22 similar. Whether it is 11 years versus 20 years, I don't
23 feel as strongly about, although I do think that as you go
24 farther back in time, I think is it hard to dispute that it
25 is more likely that the past becomes less representative of
26 the current conditions than more recent data.

27 MR. VLAHOS: I couldn't help but notice that when you
28 made the statement that in Dr. Yatchew's model one would

1 have to know at which point of the cycle you are in, that
2 Dr. Yatchew was shaking his head.

3 So like, you know, maybe you have not interpreted his
4 model right or something to that effect. I am sure Dr.
5 Yatchew can speak up when his turn comes, but did I read
6 you correctly, Dr. Kaufmann? That is your interpretation
7 of what he is suggesting?

8 DR. KAUFMANN: My understanding of what he is saying
9 is you need to know -- you cannot focus on two points, you
10 need to know the entire cycle. You need to know the entire
11 pattern of behaviour to know what is a correct pattern,
12 which -- you can't just look at a given year, year 1 and
13 year 2, and say, Let's compute the TFP growth rates between
14 those years.

15 You have to know the entire cycle. Perhaps not the
16 entire cycle, but you need to know a period. You can't
17 just look at a year. You need to know a period that
18 precedes the current year, and you have to look to that
19 period to see if it's going to be representative of the
20 future.

21 I think the stork market is a good illustration of why
22 that is. I just see the difficulties with that sort of
23 approach. The way I think about it is there is a long-run,
24 undergoing trend inherent in the data, and what you want to
25 do is estimate that trend. It is a long-term trend, but
26 you want to be sensitive to the fact that trend can be
27 distorted by temporary factors.

28 MR. SOMMERVILLE: I took your presentation, and I

1 think Dr. Yatchew's presentation, to be on all fours with
2 each other with respect to this idea of trend, that there
3 really isn't a trend in TFP growth, that this is a highly
4 volatile exercise at the best of times. Did I get that
5 right?

6 DR. KAUFMANN: It's highly volatile, but there is
7 still an underlying growth rate.

8 But there is no systematic acceleration. What he said
9 is there is no systematic acceleration or deceleration.

10 MR. SOMMERVILLE: To the extent that there is -- that
11 there is growth in the TFP factor over a given period of
12 time, it may be attributable to many different factors
13 which are genuinely external to the utility. Isn't that a
14 fair statement?

15 DR. KAUFMANN: Yes.

16 MR. SOMMERVILLE: And that's why you look at
17 externalities in order to develop your start date analysis.
18 You look at externalities and say: Well, the state of the
19 economy is roughly the same at this point as it is it is
20 here. Therefore that's the sort of comparator we ought
21 use. That's the underlying principle; is that right?

22 DR. KAUFMANN: That's right.

23 MR. SOMMERVILLE: In your withering assessment of
24 London Economics, Ms. Frayer's model, you concentrated a
25 good deal on the -- what you perceive as the inadequacy of
26 using kilometres as a proxy. And I think that's the way to
27 describe it -- Ms. Frayer, correct me if I am wrong -- as a
28 proxy for capital.

1 **QUESTIONS/DISCUSSION:**

2 MR. SOMMERVILLE: Ms. Frayer, we're now in the general
3 questions and discussion portion, so we can open up -- we
4 can slip the bonds of whatever formality we had and perhaps
5 you would like to respond directly to Dr. Kaufmann's
6 suggestion that lines of capital is not a good proxy for
7 capital.

8 MS. FRAYER: It's on. Great.

9 I surely would like to. I am hoping I can do it
10 within the next five minutes before our 3:30 cut-off.

11 MR. SOMMERVILLE: You've got ten minutes, actually.
12 We're using this clock over here.

13 MS. FRAYER: Ten minutes okay. The first point I
14 wanted to make is that it has been done elsewhere.

15 I submitted papers back, after I believe the March
16 workshop, which talked to the methodology I had utilized in
17 measuring the quantity of capital input and it has been
18 done elsewhere and has been used to set rates in incentive
19 ratemaking. I can provide more information to the Board if
20 they would like.

21 But before I go down that path, I think I want to also
22 acknowledge that Larry was correct in saying that one of my
23 decisive points in doing that approach to approximate the
24 change in the quantity of capital input was because of
25 depreciation.

26 He's correct in characterizing that, but he is
27 probably quite incorrect on other points he raised on what
28 that means to the characterization.

1 So one, I would like to first start with kind of a
2 general reminder, what we're trying to do, a total factor
3 productivity analysis is looking at the growth in
4 quantities of input and output. Not the growth in rates.
5 Not the growth in expenditures or revenue requirement over
6 time. That's not what we're trying to do. We're doing a
7 productivity analysis which intrinsically looks at
8 quantities.

9 And therefore, an approach that looks at a physical
10 inventory of quantities is a valid conceptual approach, a
11 logical approach one could do, to the productivity
12 analysis.

13 Now, to address that point about, well, if you're
14 looking at quantities of input and inventory, of physical
15 units, rather than how much you spend on those units, how
16 much those units cost you to purchase, how is that then
17 related back to the revenue requirement and how rates
18 change?

19 Well, they're related intrinsically. If I buy an
20 additional distribution pole, an extra kilometre of
21 distribution line, that will add to my rate base and that
22 will eventually appear in my revenue requirement, therefore
23 the rates that I need to recover from customers for the
24 service I provide.

25 So inherently they're related. It is just a question
26 of timing and a translation from buying more capital or
27 hiring more staff to complete your operations and provide a
28 quality service and how that relates down the road to

1 actual rates.

2 So given those two points, I want to go back to the
3 physical capital measure. Why did I choose to proxy
4 distribution lines for the quantity of capital input in my
5 analysis?

6 The reason is depreciation, because, in effect, I
7 wanted to use the best proxy I could, given the data we
8 had, to take into account that you put in a new
9 distribution line, the next day that distribution line does
10 not lose its physical carrying capacity. An accounting
11 approach, which is what underpins the monetary value
12 approach that PEG has completed, just -- does just that:
13 It applies accounting depreciation parameters. So it
14 assumes that one period from the day an asset is placed
15 into service, it no longer has the same value. When I am
16 thinking of inputs and quantity of inputs, I am thinking
17 about physical value, physical carrying capacity. So what
18 I wanted to represent was the fact that if you put a new
19 distribution asset into service, that unit -- if well
20 maintained -- should not lose its physical utilization or
21 carrying capacity with time.

22 And so that statement made that somehow that physical
23 depreciation, the capital method and the physical
24 depreciation I assumed somehow implies that we should
25 ignore maintenance is actually not true. It is quite the
26 opposite.

27 My analysis is assuming that the assets are well
28 maintained and the cost of that maintenance is represented

1 in the units of OM&A that are measured side by side with
2 the units of the capital.

3 MR. SOMMERVILLE: You're in fact predicting the
4 stability in that group of assets, not an erosion, if you
5 like?

6 MS. FRAYER: Not an accounting-based erosion. There
7 is an erosion over time. I'm not saying a one hoss shay
8 which is actually on the spectrum of things what -- it is
9 tied to a famous poem, but I won't go into the historical
10 concepts of the terminology. But what it's saying is that
11 distribution assets are like light bulbs, you screw it in,
12 it works until it doesn't work anymore at all. It doesn't
13 mean the light bulb will slowly get dimmer and dimmer and
14 dimmer and lose its physical attributes with time. It just
15 works until it stops working. Well, that is the assumption
16 I'm making, that the distribution quantities -- the capital
17 quantities I am estimating for distribution assets will be
18 there until they're replaced or added to.

19 In fact, it is quite -- although it is extreme, and I
20 can recognize the distribution assets will, in time, will
21 lose some of their carrying capacity. A transformer
22 station will age and slowly with time won't carry the same
23 level of load it carried when it was new, but that loss is
24 very slow in comparison to an accounting depreciation
25 schedule that would be used.

26 MR. SOMMERVILLE: Or decisions about pension costs;
27 right?

28 MS. FRAYER: So the other question that was raised is,

1 why did you look at lines only, distribution lines and
2 length of lines?

3 Well, in fact that is a reality of the data. I would
4 have preferred to have both line length and carrying
5 capacity measure of assets which would have allowed me,
6 then, to incorporate transformers, substations and
7 distribution lines into my measure of capital input. But
8 that data is not yet readily available.

9 I think it is easy to compile but it is just not quite
10 publicly available right now. So we had to do with an
11 approximation, which was the kilometres of distribution
12 line, and frankly, if you actually go back to the real
13 data, the Ontario database publicly available data, and you
14 look up, going back to monetary values, the unadjusted
15 asset value of poles and wires in comparison to all other
16 capital assets listed, all other categories of capital
17 assets, on average for the sector it is 60 percent. So it
18 is a good approximation. It represents more than half of
19 the total asset stock, capital inventory that utilities
20 have.

21 I agree that there are other capital assets, but we're
22 in a unique situation that the electricity distribution
23 sector can be described by only a few types of capital
24 assets.

25 So my decision to use length or kilometres of
26 distribution line was a pragmatic decision based on what
27 was available to me.

28 Now, going back, there are effectively two

1 methodologies to look at the physical inventory of capital
2 and to look at the monetary value of capital and adjust it
3 for inflation, deflate it and adjust it then for
4 depreciation.

5 In my approach to using a physical capital inventory,
6 I didn't completely rule out using monetary value. Don't
7 take me as a proponent of physical capital inventory and
8 nothing else. I am much more of a pragmatist in terms of
9 empirics, it is just we don't have very good data to do a
10 monetary value approach right now.

11 So I am not ruling it out as a potential for the
12 future. But the data right now is quite miserable and
13 unfortunately Dr. Cronin isn't here with us today, but he
14 commented on this in the last workshop and it is on the
15 transcript so I can probably misquote him a little bit on
16 this and we can look up the exact reference, but he noted
17 because of the lack of capital additions data for Ontario,
18 the mini-inventory approach to measuring the monetary value
19 of the capital input is very, very strongly biasing the
20 TFP results, biasing the measure of capital in the TFP
21 results.

22 So again, I was a little bit of a pragmatist but my
23 first feeling is that a physical measure is a good
24 approximation of the physical operational depreciation of
25 these assets.

26 And to the extent you said, Well, Julia, would you
27 ever use a monetary value approach, I would say, yes, I
28 would, if we had very good data and capital additions going

1 back in time so there was less sensitivity to the start
2 year.

3 Two, I would also couple it with what is referred to
4 in these days as age efficiency profiling. This is what
5 the statistics agencies themselves are doing. They're not
6 doing an accounting depreciation like Pacific Economics
7 Group performed. They're actually adjusting the
8 depreciation profiles to mirror the physical depreciation
9 of capital stock, because they have recognized, through
10 lots of historical studies, that there is a bias that tends
11 to build up if you're using accounting depreciation
12 measures.

13 MR. VLAHOS: Dr. Yatchew, did you want to respond
14 before we break in a couple of minutes, if you could do it
15 in a couple of minutes?

16 DR. YATCHEW: I am afraid it is going to take me a
17 little bit longer.

18 MR. VLAHOS: This is on my question about whether Dr.
19 Kaufmann has properly interpreted your recommendation in
20 his analogy to the stock market example of price earnings
21 ratio.

22 DR. YATCHEW: My short answer is I think there is a
23 fundamental misunderstanding over here of the technical
24 idea.

25 MR. SOMMERVILLE: I wonder if it might not be
26 worthwhile, when we come back in 15 minutes -- there are
27 other participants. Mr. Shepherd, you will have some
28 questions? Mr. Thomson? Ms. Girvan?

1 MS. GIRVAN: Yes.

2 MR. SOMMERVILLE: Mr. Harper? Ms. Kwik? Mr. Aiken?

3 MR. AIKEN: Perhaps.

4 MR. SOMMERVILLE: Mr. MacIntosh? Forgive me. I am
5 not personally familiar with others down on this side.

6 Will you have questions?

7 It may be worthwhile if those who do have questions,
8 just cram into the 15 minutes we have here, try to
9 coordinate them a little bit, and, Dr. Yatchew, you may --
10 you may want to find a way to address Dr. Kaufmann's
11 criticism in the course of answering these other questions.

12 I am sure the issues will arise. That may be the most
13 economical way for us to proceed both today and tomorrow,
14 if we can coordinate this action a little bit.

15 So we will break for 15 minutes and come back with
16 questions from the floor. Thank you.

17 --- Recess taken at 3:30 p.m.

18 --- On resuming at 3:45 p.m.

19 MR. SOMMERVILLE: Have the questioners worked out an
20 order of proceeding? Mr. Shepherd, I think you are going
21 first.

22 MR. SHEPHERD: Yes. It wasn't a discussion. I was
23 just simply told.

24 MR. SOMMERVILLE: Well, it was a short discussion.

25 MR. SHEPHERD: When Mr. Thompson decides what the
26 order is, that's what the order is.

27 MR. SOMMERVILLE: Everyone needs a supervisor.

28 MR. SHEPHERD: That's right. I have a couple of

1 questions for Ms. Frayer, and these are sort of in the
2 nature of trying to understand some things you said.

3 Part of your --

4 MS. GIRVAN: Jay, sorry, your fan, again, keeps coming
5 on when...

6 MR. SHEPHERD: Is that better?

7 MS. GIRVAN: Yes.

8 MR. SHEPHERD: Part of your analysis was influenced by
9 your expectation there is going to be a dramatic increase
10 in capital requirements in the next few years; is that
11 right?

12 MS. FRAYER: Part of my analysis of total factor
13 productivity?

14 MR. SHEPHERD: Yes.

15 MS. FRAYER: The historical, the productivity factor
16 recommendation consistent with how the Board report asked
17 that it be carried out is looking at historical
18 productivity growth.

19 So I will present more on the capital module tomorrow,
20 but I wanted to leave the -- anything related to the
21 capital module for that period.

22 I think total factor productivity and my
23 recommendation for the productivity target for third
24 generation IRM is based on the historical numbers.

25 MR. SHEPHERD: I understand that. But I think you
26 said, if I understand this right, that one of the reasons
27 why you have to use Ontario data instead of US data is
28 because of this demand that you are expecting for dramatic

1 increase in CAPEX; is that right?

2 MS. FRAYER: Well, that is one of the distinguishing
3 features between Ontario and the US in that I believe there
4 is different time capital expenditure programs which affect
5 the input and output relationship.

6 MR. SHEPHERD: So do you have some data on that, that
7 you can share with us, on this CAPEX expectation over the
8 next few years, what the pattern has been? I mean, this is
9 you're saying it is a cycle, right, so if there was
10 spending in the '60s and '70s, there will be a lot then,
11 there will be a lot now. So do you have that data?

12 MS. FRAYER: I don't have the actual data breaking it
13 down by time periods, but effectively, I think there was
14 spending to electrify the province in response to building
15 booms that occurred in the '60s and '70s and just typically
16 on the basis of the number of years necessary to replace
17 certain assets, we expect that there will effectively be
18 spending over some cycle going forward to replace those.

19 So that particular capital expenditure is related to
20 the aging asset question that we have been talking about
21 through the consultation.

22 MR. SHEPHERD: This is just something that your
23 clients have told you? You don't have any data on it?

24 MS. FRAYER: I don't have explicit numerical data that
25 shows, this is the spending that occurred then and this is
26 the spending I expect going forward.

27 I have reviewed the rebasing applications that have
28 come over the recent period and I have noted on an

1 individual basis where there is a projection for higher
2 capital expenditures at least over the next few years over
3 the test year as compared to historically.

4 So you also have access to that, though, so...

5 MR. SHEPHERD: Thank you. The other thing you said is
6 that one of the special things about Ontario is that there
7 has been effectively a rate freeze over the last several
8 years.

9 Have you done any analysis of what the actual rate
10 increases have been over the last few years?

11 MS. FRAYER: I have not looked at the actual rate
12 increases. I know there have been for things like
13 corporatization and PILs but not for the underlying revenue
14 requirement for operational expenses.

15 MR. SHEPHERD: Would it surprise you to find out that
16 the revenue requirement for operations, distinct from those
17 other things, would increase by more than inflation over
18 the last five years? Would that surprise you?

19 MS. FRAYER: It would not -- that the expenditures?
20 OM&A you're talking about?

21 MR. SHEPHERD: No. I'm talking about the revenue, the
22 actual amount of revenue that each of these had adjusted
23 for those special factors that you are talking about
24 increased by more than inflation. Were you aware of that?

25 MS. FRAYER: There is growth and demand.

26 MR. SHEPHERD: No. Adjusted for growth.

27 MS. FRAYER: I am not sure -- what is the basis for
28 that?

1 MR. SHEPHERD: I am asking you, if that turns out to
2 be the case -- I mean the information is published so we
3 can simply show Board the published data. Then would that
4 change your conclusion as to whether Ontario data is more
5 reliable than US data and why Ontario utilities are
6 different?

7 MS. FRAYER: Well, I don't think it changes my overall
8 conclusion that to set a rate-making regime for Ontario, it
9 is best to use Ontario data. I think that is my ultimate
10 recommendation, that would still stay the same.

11 MR. SHEPHERD: You use this unusual approach to the
12 capital component for the last four years, which Dr.
13 Kaufmann has criticized.

14 I have two questions about that. As I understand what
15 you're saying, that accounting depreciation is not the same
16 as physical depreciation. Is that right?

17 MS. FRAYER: That's one element of it, yes.

18 MR. SHEPHERD: Well, okay. Is there another element
19 of it?

20 MS. FRAYER: Well, what type of depreciation do -- I
21 guess the next step is, we know the difference between
22 accounting and physical. Which one do we want to model
23 then in a total factor productivity analysis?

24 MR. SHEPHERD: Well, no, but that's what I'm getting
25 at because accounting depreciation, of course, is intended
26 to track physical depreciation, in fact, you use Iowa
27 curves to calculate the period of time; right?

28 MS. FRAYER: But we also know that they tend to

1 overstate the pace of physical depreciation.

2 MR. SHEPHERD: Well, yes, okay, so it is it
3 interesting you say that because on an individual asset
4 basis, I understand why that is the case, it's the light
5 bulk example, right, the light bulb doesn't get dimmer and
6 dimmer? But on a system-wide basis where you have assets
7 added every year, isn't it true that the depreciation, in
8 fact, is very similar to the assets that reach their -- the
9 end of their useful life. In fact, it is based on that,
10 isn't it?

11 MS. FRAYER: No. I think that in effect, I disagree
12 that the accounting measure of depreciation, depreciation
13 expense that is reported -- and the accounting measures of
14 depreciation that have been used to estimate the value of
15 the capital input -- reflect that.

16 So I think that in effect, they're biasing the TFP
17 results because they may be biasing the measure of the
18 capital input unless you account for the age of the assets.

19 MR. SHEPHERD: So I am trying to understand that,
20 because I guess I would have assumed that if your
21 depreciation is 4 percent of your rate base in a given
22 year, that approximately 4 percent of your capital stock is
23 going to be out of service that year, because in fact
24 they're calculated using the same method.

25 Isn't that right?

26 MS. FRAYER: Well, we're talking about the -- repeat
27 the question again because I think --

28 MR. SHEPHERD: Let me put it to you a different way.

1 If your depreciation is 4 percent, then your retirements,
2 at their original costs, should probably be about 4 percent
3 of rate base. Isn't that right?

4 MS. FRAYER: In effect, if you're saying your average
5 depreciation is 4 percent of rate base, you're saying that
6 on an accounting basis, those 4 percent of your asset base
7 has been fully recovered from rates.

8 MR. SHEPHERD: No. I'm saying actual retirements.
9 Your actual retirements should be approximately 4 percent
10 of your rate base at an original cost basis; right?
11 Because they're calculated using the same method.

12 MS. FRAYER: Well, I'm not sure about physical
13 retirements. Or replacements.

14 MR. SHEPHERD: Don't utilities have physical
15 retirements?

16 MS. FRAYER: They definitely do but I haven't actually
17 looked at the numbers. I am not sure that they match the
18 actual depreciation rate.

19 MR. SHEPHERD: Of course, the method you have used
20 assumes there are no physical retirements; right?

21 MS. FRAYER: Sorry?

22 MR. SHEPHERD: The method you have used assumes that
23 there are no physical retirements.

24 MS. FRAYER: It makes no such assumption. It looks at
25 the data and says: Is there?

26 MR. SHEPHERD: And the other thing I don't understand
27 is, you used poles and wires as a proxy, which I
28 understand --

1 MS. FRAYER: Well, actually, length of wires.

2 MR. SHEPHERD: Length, which is poles and wires, it
3 should be, roughly? And that's about 60 percent.

4 Did you do some analysis -- it should be relatively
5 easy to see whether it's a good proxy by testing it against
6 overall capital needs. Isn't that right?

7 MS. FRAYER: Well, to do -- I would actually have
8 preferred to look at, have a measure that allowed me to
9 incorporate other classes of distribution assets like
10 transformer substations.

11 But that's not something I could do without additional
12 information about the voltage, and carrying capacity. So
13 it is not that easy an analysis because if it was I would
14 have done it and incorporated a more complete, I guess,
15 proxy for the input quantity of capital. But it's not
16 something that is readily available.

17 MR. SHEPHERD: I guess what I don't understand is when
18 you choose a proxy, usually you test to see if the proxy
19 has some reliable relationship to what it's proxying;
20 right? And you didn't do that here?

21 MS. FRAYER: Well, I am supposed to be proxying the
22 input quantity of capital. So a physical inventory of
23 capital is, by definition, a measure of input quantity.

24 My concern was, distribution lines, does that
25 encapsulate a significant portion of the capital employed?
26 I did actually look at the actual data. I went back and
27 said, okay, what portion of gross unadjusted book value
28 over time have distribution lines and poles represented?

1 They have generally represented more than half. So I
2 felt that it was a suitable proxy, given the data that I
3 had at hand.

4 MR. SHEPHERD: So you're saying that you couldn't test
5 whether it was a good proxy because -- for the same reason
6 that you couldn't use the original data from the other
7 classes? You just had to ignore computers and things like
8 that, because you don't have enough data on it?

9 MS. FRAYER: Well, I am not explicitly ignoring it.
10 What I am suggesting is other classes of capital employed
11 grew at the same rate as distribution and poles. That's
12 what the analysis is looking at. We're only looking not at
13 levels, but at changes from year to year.

14 MR. SHEPHERD: Okay. My last question is you -- for
15 you is, to get the labour quantity, you took the labour
16 expense and adjusted for the Stats Can unit labour costs.
17 Is that a standard way of doing it?

18 MS. FRAYER: It is. In fact, what we have is OM&A.
19 So we have a composition of both labour and materials.

20 And so you adjust the annual expenditures, OM&A, total
21 labour and materials expenditures, by the implicit price of
22 those inputs, which would be the input price of labour and
23 implicit price of materials. On the material side, there
24 is no great Stats Can index that really goes to it, so I
25 used the GDP deflator for that portion.

26 MR. SHEPHERD: All right. Can I ask, Dr. Kaufmann and
27 Dr. Yatchew, whether that sounds like a reasonable approach
28 to the labour component?

1 DR. KAUFMANN: To use a weighted average of something
2 like an economy-wide inflation measure for the non-labour
3 OM&A?

4 MR. SHEPHERD: Yes.

5 DR. KAUFMANN: To use a Stats Can measure? Stats Can
6 for the electric utility industry or utility industry?

7 MS. FRAYER: Utility industry, yes.

8 DR. KAUFMANN: Okay. I mean, that could be
9 reasonable. I would have to look at it. I would have to
10 see exactly what's in their -- generally, using a weighted
11 average of economy-wide measures for the non-labour
12 component and some measure of the labour price that's
13 specific to the industry is a reasonable approach.

14 MR. SOMMERVILLE: Dr. Yatchew, do you agree with that

15 DR. YATCHEW: With respect to the labour component, I
16 think using the Stats Can data can lead to erroneous
17 results.

18 One of the reasons is that the electricity industry,
19 the distribution industry, has a very substantial unionized
20 component. This tends to reduce inter-regional
21 differentials in wages.

22 And that will look very different than if you just
23 look at the geographical wage distributions or other sort
24 of labour that would be available through Stats Can.

25 So that if anything, my expectation -- and I can give
26 a specific example. If anything, using the Stats Can data
27 for the labour component will tend to suggest that there
28 are larger differences and potentially greater cost savings

1 across utilities in a labour component than there actually
2 are.

3 MR. SHEPHERD: So you're suggesting that Ms. Frayer's
4 calculation might overstate the total factor productivity?

5 DR. YATCHEW: I'm sorry, you would have to walk me
6 through that again. I am not sure I caught all of that.

7 MR. SHEPHERD: You're suggesting that using that
8 method of calculating the labour component might end up
9 with her number, her 0.58 number, being slightly high?

10 DR. YATCHEW: Using, sorry, which number?

11 MR. SHEPHERD: Sorry. Okay, let me back up. I asked
12 about the labour quantity inputs, and you said that the
13 number might lead to -- the approach might lead to
14 erroneous results.

15 DR. YATCHEW: Yes.

16 MR. SHEPHERD: And that, in fact, as I understand what
17 you said, the erroneous results might actually overstate
18 the differences. And do I understand that to mean, when
19 you track that through the calculation of total factor
20 productivity, the result would be that Ms. Frayer's number
21 might be too high?

22 DR. YATCHEW: That's not obvious to me.

23 The point I am trying to make is that there will be
24 smaller inter-utility labour differences.

25 MR. SHEPHERD: Oh, inter-utility?

26 DR. YATCHEW: Inter-utility labour differences than
27 would be predicted by an inter-geographical comparison.

28 MR. SHEPHERD: Okay. I understand.

1 DR. KAUFMANN: Jay, I should point out we used the
2 union wage rates for the reasons you pointed out.

3 When you asked me, I was making a more general
4 statement, a more general point, about whether the index
5 from Stats Canada could be reasonable, and there are pluses
6 and minuses in both.

7 But we have been using the union wage rate. Our
8 judgment so far is it is a better measure, but I think
9 that's one of those finer points of productivity estimation
10 that I think could be something that could be revised in
11 further applications.

12 MR. SHEPHERD: Would there be a material difference in
13 Ms. Frayer's number if she used the approach to the labour
14 component that you have used and that Dr. Yatchew thinks is
15 better?

16 MS. FRAYER: Well, if I can take a jab at answering
17 that, I don't believe so, because we actually presented
18 side by side the union wage estimates from one Canadian
19 source against the Stats Can labour utility -- weekly
20 earnings for utility labour index I believe in the March
21 workshop, in the context of the IPI, the inflation index.
22 If you all go back to those slides, I can actually pull the
23 reference --

24 MR. SHEPHERD: No, that's fine.

25 MS. FRAYER: There isn't really a lot of difference
26 for the time period we're studying.

27 One concern with -- you know, you have to weight pros
28 and cons. The concern is that we use the Canadian-wide

1 utility index, so it incorporates utilities outside of
2 Ontario, because we actually had great reservations about
3 the sampling techniques Stats Can did for the Ontario
4 version.

5 We looked at the unionized wage labour index, but the
6 problem there was the unionized labour across many
7 different sectors, so, again, reservations. Fortunately,
8 there is nothing perfect in there, but they do tend to move
9 closely in parallel. So I don't think it actually affects
10 substantially a measure of the quantity of labour input.

11 MR. SHEPHERD: So your conclusion is that your results
12 wouldn't be materially different if you used that approach?

13 MS. FRAYER: I don't believe so.

14 MR. SHEPHERD: Does that sound reasonable to you, Dr.
15 Kaufmann?

16 DR. KAUFMANN: I would have to do a side-by-side
17 comparison. I haven't done that.

18 MR. SHEPHERD: I have one question of Dr. Yatchew.

19 DR. YATCHEW: If I could just add in one final
20 observation?

21 MR. SHEPHERD: Sorry.

22 DR. YATCHEW: If you were able to use data directly
23 from utilities, like lineman data, benchmarking --
24 benchmark wages across utilities, I suspect you would get
25 substantially more accurate results, and you would also get
26 much closer tracking of inter-utility differences of labour
27 costs.

28 MR. SHEPHERD: So if you were using --

1 DR. YATCHEW: That goes to the equity issue.

2 MR. SHEPHERD: If you were using it for benchmarking
3 purposes, for example, then it would be more important that
4 you get the individual utility data?

5 DR. YATCHEW: Yes. That's correct.

6 MR. SHEPHERD: I see, okay.

7 DR. KAUFMANN: There is a counter-argument to using
8 that, which is that labour prices should be extra, and to
9 the extent that you go directly at the company level and
10 you measure what companies are paying for labour, you could
11 be picking up a management decision as opposed to an
12 external market condition.

13 DR. YATCHEW: I would not be averse to both sets of
14 numbers. But in my experience, the estimates that I did
15 back in the '90s, which actually used lineman data for 280
16 utilities, that labour variable came in very clearly as an
17 explanatory variable of -- in the total cost function.

18 MR. SHEPHERD: To compare utility to utility?

19 DR. YATCHEW: Yes.

20 MR. SHEPHERD: Which sort of makes sense, from an
21 intuitive point of view. The utilities that were tougher
22 on -- had tighter control over their labour costs were more
23 productive; right?

24 Dr. Yatchew, you said a couple of times in your
25 presentation that if we're going into a recessionary
26 period, you would expect productivity to be lower.

27 I guess from a business point of view, that doesn't
28 sound intuitive to me. Most business people would say that

1 while your outputs go down, of course you are under a lot
2 of pressure to cut costs and you tend to be more
3 productive in a period of recession than you do in a period
4 of expansion, where you have a lot more ability to waste
5 money.

6 So can you just help me understand why that is true?

7 DR. YATCHEW: Sure. There are a number of literatures
8 addressing this issue, but the general rubric is that there
9 is a procyclical effect relating to productivity growth in
10 business cycles.

11 Now, there have been many theories examined at various
12 microlevels of why that is the case. One of the simpler
13 reasons is that companies are willing to keep their labour
14 force in place at times when they're producing less output
15 and therefore "less productive" because it is a good
16 business decision, to hang on to your well-trained people,
17 not get rid of them, because they're going to be more
18 productive when that -- when acceleration occurs and demand
19 and you don't have to bring in untrained talent into your
20 labour pool.

21 So I don't find it surprising that there is a
22 procyclical effect relating productivity growth and the
23 business cycle.

24 MR. SHEPHERD: Okay. Dr. Kaufmann, I had a question
25 for you on your start date analysis.

26 You said that Dr. Yatchew assumes that there is a
27 cycle, or a predictable pattern, if you like. I take your
28 point there is no evidence on the record that that's the

1 case, but what if that were true, if that were true, would
2 it then mean that when you do your start date analysis,
3 there will be more than one year in the past that is an
4 appropriate start date and you have to choose between them?

5 DR. KAUFMANN: If you assume that to be true --

6 MR. SHEPHERD: Yes.

7 DR. KAUFMANN: Well, not in our start date analysis.
8 Because our start date analysis, I suppose that would
9 depend on what is driving the cycle.

10 If the cycle is driven by factors that are internal to
11 the company, internal to the industry, then our start date
12 analysis would not pick that up. Our start date analysis
13 focuses on external factors that can have short term
14 impacts on TFP.

15 So therefore, if there's some, something inherent in
16 the industry that's leading to cyclical pattern then our
17 analysis will not pick up multiple start dates in the past.
18 If on the other hand it is driven by cyclical changes in
19 weather, cyclical changes in the economy, then there is a
20 good possibility it would pick it up.

21 MR. SHEPHERD: So then if that were the case, how
22 would you decide between previous years? You have more
23 than one previous year that is a suitable start date, how
24 would you decide between them? Because you would get
25 different answers; right?

26 DR. KAUFMANN: You might. It depends. I mean I think
27 if you have a regular cycle, it would depend -- I mean, if
28 you really do have the cyclical pattern and you're picking

1 that up from where you are right now until two different
2 points in the past, if you really do have say one cycle to
3 gets you from where you are now to the first point and then
4 the second cycle that gets you to the second point, then
5 you would get the exact same TFP results, because it is
6 just two cycles one after the other.

7 So in that case you wouldn't get a different number.
8 You would just -- because, you have the same cycle that, if
9 in fact, you have a cycle that leads from point A to point
10 B and it looks exactly like that and then you have that
11 exact same cycle that gets you from point B to point C, you
12 will have the same cycle.

13 If it's the same number of years under which the cycle
14 applies, then when you calculate that average, there is no
15 reason. You have all the same numbers that go on the
16 numerator of that average and then you have the same
17 numbers of years in the denominator, you would get the same
18 average growth.

19 MR. SHEPHERD: Let me just follow up on that. The
20 point of the start date analysis is to make sure you have
21 the slope of the line accurate; right?

22 Sorry, things that happen at the beginning or end of
23 the period that you are choosing --

24 DR. KAUFMANN: Yes.

25 MR. SHEPHERD: -- haven't affected the slope of the
26 line --

27 DR. KAUFMANN: That's correct.

28 MR. SHEPHERD: -- unreasonably; right?

1 DR. KAUFMANN: That is correct, yes.

2 MR. SHEPHERD: So how then would that change if you
3 went back to a previous suitable start date? Are you
4 saying the slope of the line would continue to be the same
5 all other things being equal?

6 DR. KAUFMANN: A previous start date?

7 MR. SHEPHERD: Yes.

8 DR. KAUFMANN: Well, I mean the...

9 You can't -- I don't think you can make a general
10 conclusion on that. You know, there can be factors,
11 because frankly I don't believe there is a regular cyclical
12 pattern within TFP. I just don't believe it. I mean, I
13 think there is a lot of variability. We have 11, 18 years
14 and you can smooth it out so it looks like there might be
15 one but I don't believe that is actually what's going on.

16 I think that there is an upward trend in TFP and there
17 is a lot of volatility. So given that that's my belief
18 about the reality of this industry, if you take two
19 different points and you estimate a trend over two
20 different points that may happen to be the same, then there
21 is no reason that the TFP estimates couldn't differ a
22 little bit. You wouldn't necessarily have the same trend
23 because there is volatility, and there can be random
24 volatility.

25 And depending on how long the difference is between,
26 say, point B and point C as opposed to point A and point B,
27 the volatility can dominate the trend and you can get a
28 different number on the average growth rate.

1 MR. SHEPHERD: I haven't forgotten, Dr. Yatchew, but I
2 just want to finish off that point.

3 You just talked about a cycle of the TFP.

4 DR. KAUFMANN: Right.

5 MR. SHEPHERD: But as I understood your start date
6 analysis, you're not identifying a cycle of the TFP. You
7 are identifying a cycle of the exogenous factors. If there
8 is a cycle of the exogenous factors, then Dr. Yatchew's
9 comment would be correct.

10 But if there is not a cycle of exogenous factors, the
11 one you're using to calculate the start date, then it
12 should be irrelevant. Isn't it?

13 DR. KAUFMANN: No. I mean even if there is a cycle in
14 the exogenous factors, Dr. Yatchew's assumption wouldn't
15 necessarily be correct.

16 There can be cyclical changes and variability in TFP
17 for a variety of reasons that don't just have to do with
18 the cyclical, the external cyclical factors it can be
19 dominated by investment decisions, replacement decisions,
20 you know, real productivity gains that become new in the
21 industry compared to the past and there are a lot of things
22 that can go into the data.

23 So I don't think you can say that as a general
24 statement.

25 MR. SHEPHERD: Dr. Yatchew.

26 DR. YATCHEW: That makes the problem that much more
27 complicated in trying to use just two variables to identify
28 -- and two point in time to identify the period that is

1 supposed to be representative.

2 But if there are all of these other factors going on,
3 they're missing from your analysis in selecting start
4 dates.

5 DR. KAUFMANN: But they're inherent to the industry.
6 And that is really the issue.

7 I mean what we want to do is we want to have something
8 that reflects the industry's behaviour over a multi-year
9 period. We want this to be representative of what's going
10 on within the companies, independent of exogenous factors,
11 external factors that might be driving TFP that doesn't
12 have anything to do with the industry.

13 For example, pensions is a great illustration. In the
14 late '90s companies conserved on pensions, their measured
15 TFP went up. After 2001, companies had to make pension
16 contributions. They're measured TFP went down. That is a
17 business decision. It made sense in the '90s it also made
18 sense now.

19 But if you cut that period in half and you just focus
20 on one as opposed to the other, you won't be picking up
21 those fluctuations and the same thing with asset
22 replacement cycles. I mean, if you look at short periods
23 or you look at any given period, it can be dominated by
24 those factors. But what you have to do is look at a long
25 enough period so those factors more or less balance out and
26 you have a reasonable -- you can't control for everything.
27 But you want to make sure that you have a reasonable period
28 so that those random fluctuations that reflect company

1 decisions more or less balance out.

2 DR. YATCHEW: I think the insertion of all of these
3 other considerations obfuscates the analysis of the start
4 date approach.

5 Let me try to put the start date analysis in a simple
6 perspective. Suppose there were two factors, the two
7 factors that were introduced by Dr. Kaufmann in that
8 analysis: Weather factors and unemployment rate.

9 Let's also agree, for the purposes of this discussion,
10 that weather factors are essentially random year to year.
11 I am abstracting from climate change. In that case you
12 really do want to take the longest possible average because
13 the longer your time period, the better chance you have of
14 averaging out the unusually hot years with unusually cold
15 years.

16 Now let me focus on the unemployment factor.

17 It has been stated that the, there's no proof that
18 there is a cycle in TFP. That's not the claim that I am
19 making.

20 The claim that I am making is that there is a cyclical
21 component, within TFP, that is driven by and related to the
22 extent that the business cycle -- and I didn't use that
23 word accidentally -- that the business cycle has an impact
24 on TFP.

25 If the business cycle has an impact on TFP, then TFP
26 must have at least that cyclical component within it.

27 MR. SHEPHERD: So here's the problem I had with that,
28 Dr. Yatchew, so maybe you could help me understand.

1 What's the practical result of that? You are not
2 presenting data on the cycle, as I understand it.

3 So how is this Board supposed to assess how to choose
4 the period, if you're saying, Well, Dr. Kaufmann's method
5 is wrong, but I don't have any evidence on what the cycle
6 is?

7 I don't understand what you expect the Board to do.

8 DR. YATCHEW: Well, I did put forth a specific
9 recommendation, and I could put forth a much more
10 sophisticated recommendation.

11 Actually, I put forth two recommendations. One is
12 that the start date analysis is incorrect.

13 I found no evidence of this approach in the
14 mathematical statistics literature or in econometrics
15 literature that would justify this kind of approach in this
16 kind of setting.

17 I am not trying to reinvent the wheel if it's already
18 been invented.

19 The wheel that has been invented is a somewhat more
20 sophisticated tool. It's a tool that says, Let's look at
21 the data, let's look at the period we are trying to predict
22 and let's test various kinds of predictive models.

23 We can go through that exercise and we could probably
24 spend a week here of expert testimony on exactly how to
25 calibrate that kind of exercise, how we're going to
26 incorporate the various elements in the model, cyclical
27 effects, time trend effects, seasonal effects, weather
28 effects, and so on, and try to find the best predictive

1 model, because that is our objective.

2 Our objective is to try to obtain the best possible
3 prediction of the base productivity factor for the next
4 three years.

5 That exercise can be done. It is a sophisticated
6 exercise. It will not be specially transparent to the
7 Board.

8 Therefore, I recommended the third, which has
9 literally countless numbers of papers supporting it, and
10 that is unless there is evidence that certain observations
11 do not belong in the data set because there has been a
12 regime change, because they are unusual outliers, because
13 you've got David Gates in this data set of income on people
14 living in this room, present in this room, and we're
15 calculating the average income, because there's some sort
16 of unusual -- unless there is evidence that there are some
17 unusual outliers in this data, the presumption is you use
18 as much data as you can, simply because of the law of
19 averages.

20 MR. SHEPHERD: Well, so, okay, here is what I don't
21 understand, then, Dr. Yatchew.

22 What you appear to be saying to the Board is, If you
23 don't reflect the cycles, then you're doing it wrong. And,
24 by the way, my suggestion is don't reflect the cycles.

25 I mean, surely if your point is that there is a cycle,
26 you should identify the cycle and the Board can then use it
27 in its analysis. Otherwise, I don't see how your
28 suggestion is practical. Sorry, just -- you are probably

1 right. I just don't understand.

2 And the other part to that is, if the answer is, Well,
3 just take the longest period of time you have, then why
4 wouldn't you use 50 years or 100 years, because at least in
5 the US data you have a lot of data to use and you can
6 correlate it?

7 So why wouldn't you do that? What is the magic in 20
8 or 18 or whatever?

9 DR. YATCHEW: I guess there are two responses to that.
10 If you really do have long-term data -- and I have seen
11 long-term data, but I haven't examined it to see whether it
12 sort of meets certain standards -- long-term data for the
13 US, one of the things you would have to ask is whether
14 there has been a systematic change somewhere along the way
15 that would make one period look different from another
16 period.

17 The example I gave earlier where, in demand for
18 electricity, was that 7 percent guaranteed for decades and
19 decades and all of a sudden dropped to 3 percent. You
20 wouldn't want to use those decades with the 7 percent and
21 mix them with the decades where you observed 3 percent.

22 So you would have to look at the data to see whether
23 there are reasonable break points.

24 Now, as far as the cyclicity question that you are
25 asking, I am not saying ignore the cyclicity. As far as I
26 can tell, that graph which I am -- I keep returning to,
27 because for me it has been the most illuminating within
28 this whole discussion. We can go through a lot of

1 technical analysis, but one nice graph is for me very
2 informative. It actually does exhibit a long-term wave.

3 It doesn't explain a great deal of the variation in
4 productivity changes year to year, but there is some sort
5 of a systematic trend being picked up that sometimes
6 increases and sometimes decreases.

7 And we don't have to claim that that cycle is going to
8 be the same the next time around for the same reason that
9 macro economists never claim they know the length of a
10 business cycle. Business cycles vary from seven years to
11 15 years to four years, a huge variation.

12 That does not mean that recent experience is
13 uninformative about the prospects in the immediate future.
14 That's the essence of what I am trying to say, that you
15 need to look at not only the long-term average, but you
16 need to look at what's happened in the last few years and
17 see whether that's informative or helpful in predicting the
18 next three years.

19 MR. SHEPHERD: Dr. Kaufmann, do you want to comment on
20 that?

21 DR. KAUFMANN: First, in terms of the long-term
22 average and using as much data as possible, earlier you
23 used the example of the height in Canada, and if you wanted
24 to figure out what the average height of a man in Canada
25 is, you could take a sample and if you expand the sample,
26 you would get a better average. And I would agree with
27 that. That's obviously a cross-sectional analysis.

28 But if you were to take the average height of a man in

1 Canada in 2006 and the average height of a man in Canada in
2 1990, you would get different answers.

3 And that -- what we are talking about here is not
4 expanding for a cross-section. We are talking about moving
5 this sample backwards in time. And the more you do that,
6 the more you start going back further and further in time,
7 the more there is a likelihood that conditions will be
8 different in the distant past than they are now.

9 It's true that there has been no evidence presented
10 that the data from 1995 to 1998 are suspect in any way, but
11 there's also been no evidence presented that they're
12 representative of the current trends in any way.

13 My point is just that we know we want -- we want to
14 see trends that reflect current conditions, including any
15 potential slowdown in TFP that's occurred in recent years.
16 If that's occurred, we want that reflected in the trend.
17 So we want it to reflect current conditions.

18 So it has to be current. But, at the same time, we
19 don't want it to be distorted by transitory factors. So
20 you have to balance those two.

21 You're always going to be striking a balance between
22 having a period that is long enough to reflect current
23 conditions, or short enough -- long enough to reflect
24 current conditions, but not so short that it is overwhelmed
25 by transitory factors.

26 So because of that, it doesn't follow that you always
27 want to extend the sample backwards in time or that more
28 data is better. I don't believe that is the case in a time

1 series analysis.

2 My approach is an attempt to balance those two
3 considerations.

4 DR. YATCHEW: Okay. You raised the example of the
5 average height of a Canadian male in the 1970s and the
6 average height in the 1990s, and people, men and women,
7 trend to grow taller over the centuries. That's exactly
8 the example that doesn't apply here, because that is the
9 case of non-stationary.

10 DR. KAUFMANN: Understood --

11 DR. YATCHEW: It's an example of non-stationarity
12 where there is some sort of a trend going on here over
13 time.

14 MS. FRAYER: A structural change.

15 DR. KAUFMANN: It doesn't have to be structural.

16 DR. YATCHEW: There is some sort of a non-stationary
17 -- something is not standing in the same place. The
18 average height of Canadians is not standing in the same
19 place.

20 Now, my question then is: Statistically, when you
21 look at these data (a) is there any visual evidence of non-
22 stationarity; (b) have you done any statistical tests to
23 convince yourself that there is non-stationarity in these
24 data and that would justify dividing the sample? Even that
25 would be a more defensible approach than just to look at
26 two points of time.

27 MR. SHEPHERD: I guess what I don't understand, Dr.
28 Yatchew, is, Dr. Kaufmann has chosen a start date for his

1 time series based on an empirical analysis and some logic.

2 DR. YATCHEW: And --

3 MR. SHEPHERD: Some logic, a reason why he chose a
4 particular year.

5 I don't see that you have chosen a start date that's
6 based on any similar rigorous analysis. You just chose the
7 earliest date you had data for, and that seems a bit random
8 to me and I don't understand why that would be as
9 scientifically rigorous as Dr. Kaufmann's approach.

10 DR. YATCHEW: You know, there is lots of science
11 conducted to discover phlogiston, P-H-L-O-G-I-S-T-O-N, and
12 other -- and the ether in the universe that would somehow
13 transmit light. There are lots of rigorous experiments
14 sets up that never discovered these things.

15 So the fact that there is an algorithm in place for
16 executing some computer steps doesn't provide -- doesn't
17 justify it scientifically in any way whatsoever.

18 I keep going back to the simplest way that I can
19 express this idea. If you really want to predict a block
20 of time based on past experience, you want to take another
21 block of time and hopefully show that it is as
22 representative as possible of the future, not pick two
23 years without any regard for what's really happening in
24 between.

25 That was the point of this idealized cosine curve that
26 I drew.

27 If you applied that technique blindly, you would pick
28 two points in time that were identical and I could have

1 used - I didn't have to use TFP in those curves, I could
2 have used unemployment rate. If unemployment rate was the
3 criterion, then I could have picked two years when
4 unemployment rates were the same. But whether that would
5 pick up both downturns and upturns in the economy is the
6 question I thought you were getting at earlier. In other
7 words, are you picking up the full cycle if this cycle
8 crosses the sort of midpoint numerous times.

9 MR. SOMMERVILLE: You get the last word for today,
10 Dr. Yatchew. We will break now. We will resume tomorrow
11 morning at 9:30. Mr. Shepherd will we be resuming with
12 you?

13 MR. SHEPHERD: No. I am done. Thank you.

14 MR. SOMMERVILLE: An interesting day. Let me re-
15 emphasize the importance of the dialogue. I think this has
16 been useful, but I would just remind everyone that this is
17 a dialogue-type process. It's very important for us to get
18 to the point, as -- without -- and I say this with respect
19 -- without the arcane -- arcania of your respective
20 disciplines. So if we can remind ourselves tomorrow to
21 focus on the very concrete exercise that the Board has got
22 to discharge, we've got to arrive at a number. And we will
23 arrive at a number.

24 We need the tools to do that, and so I implore you to
25 assist us in that, as you have done today.

26 So we will pick this up tomorrow morning, and thanks
27 everyone and see you tomorrow.

28 --- Whereupon the proceeding adjourned at 4:32 p.m.