



ONTARIO ENERGY BOARD

FILE NO.: EB-2007-0673

VOLUME: Stakeholder Consultation

DATE: August 6, 2008

BEFORE: Paul Sommerville Presiding Member

Paul Vlahos Member

THE ONTARIO ENERGY BOARD

3rd Generation Incentive Regulation
for Electricity Distributors

Proceeding held at 2300 Yonge Street,
25th Floor, Toronto, Ontario,
on Wednesday, August 6, 2008,
commencing at 9:40 a.m.

Stakeholder Consultation

BEFORE:

PAUL SOMMERVILLE

Presiding Member

PAUL VLAHOS

Member

A P P E A R A N C E S

LISA BRICKENDEN ALLAN FOGWILL MARIKA HARE BILL COWAN	Board Staff
JAY SHEPHERD	School Energy Coalition (SEC)
RANDY AIKEN	London Property Management Association (LPMA)
BILL HARPER	Vulnerable Energy Consumer's Coalition
MAURICE TUCCI DR. ADONIS YATCHEW	Electricity Distributors' Association (EDA)
PAULA CONBOY	
SUSAN FRANK	Hydro One and Coalition of Large Distributors (Enersource Hydro Mississauga Inc., Horizon Utilities Corporation, Hydro Ottawa Limited, PowerStream Inc., Toronto Hydro-Electric System Limited and Veridian Connections Inc.)
JULIE GIRVAN	Consumers' Council of Canada (CCC)
JULIA FRAYER	London Economics Group
JUDY KWIK DR. FRANK CRONIN	Power Workers' Union (PWU)
PETER THOMPSON	Canadian Manufacturers & Exporters (CME)
DR. LAWRENCE KAUFMANN	Pacific Economics Group (PEG)
DAVID MacINTOSH	Energy Probe Research Foundation

I N D E X O F P R O C E E D I N G S

<u>Description</u>	<u>Page No.</u>
--- Upon commencing at 9:40 a.m.	1
PRODUCTIVITY FACTOR	1
Questions/Discussion (resumed)	1
STRETCH FACTOR	82
SCHOOL ENERGY COALITION	82
Presentation by Mr. Shepherd	82
--- Luncheon recess taken at 11:50 a.m.	85
--- On resuming at 1:00 p.m.	85
COALITION OF LARGE DISTRIBUTORS & HYDRO ONE NETWORKS INC.	86
Presentation by Ms. Frayer	86
ONTARIO ENERGY BOARD STAFF	92
Presentation by Dr. Kaufmann	92
ELECTRICITY DISTRIBUTORS ASSOCIATION	108
Presentation by Dr. Yatchew	108
Questions/Discussion:	118
--- Recess taken at 3:05 p.m.	159
--- On resuming at 3:25 p.m.	159
--- Whereupon the proceeding adjourned at 4:25 p.m.	189

E X H I B I T S

Description _____ Page No.

NO EXHIBITS WERE FILED DURING THIS PROCEEDING

U N D E R T A K I N G S

Description

Page No.

NO UNDERTAKINGS WERE FILED DURING THIS PROCEEDING

1 Wednesday, August 6, 2008

2 --- Upon commencing at 9:40 a.m.

3 MR. SOMMERVILLE: Please be seated.

4 Good morning, everyone. Thank you.

5 This is the second day of the consultation dealing
6 with the total factor productivity, the stretch factor and
7 the capital module threshold. When we left off yesterday,
8 Mr. Shepherd had just concluded his questions of the panel
9 and we are now proceeding down the line to others in the
10 room. All of the others in the room or any of the others
11 in the room who wish to question the panel?

12 Mr. Thompson, you are looking expectantly and I take
13 it you are next?

14 **PRODUCTIVITY FACTOR**

15 **QUESTIONS/DISCUSSION (RESUMED)**

16 MR. THOMPSON: Thank you, Mr. Sommerville.

17 I will refer you to as the panel, but, witnesses, for
18 those of you who don't know me my name is Peter Thompson
19 and I represent the Canadian Manufacturers and Exporters.
20 They have about 1,400 members in Ontario, and the bulk of
21 them are manufacturers with employees of 500 or less, so
22 the interests that I am representing is generally a
23 ratepayer interest and primarily a general service
24 ratepayer interest.

25 I have a couple of questions of a general nature, and
26 then a few questions in four topic areas. And let me just
27 say at the outset the questions are intended to be of a
28 clarifying nature and not to prompt debate between the

1 three of you on your differences.

2 I will just give you the topic areas that I want to
3 ask about. One is data availability. The second is
4 methods of calculating inputs and outputs. The third deals
5 with this issue of weighting a portion of a statistical
6 sample. And the fourth is this selection of the
7 appropriate sample period, the start point/end point
8 debate.

9 So with that, let me just turn to my general
10 questions. Am I correct -- well, let me ask this: Is the
11 exercise of determining a reasonable estimate of historic
12 TFP growth essentially a statistical analysis exercise? Do
13 all of you agree with -- the answer to that question is
14 "yes"?

15 DR. YATCHEW: It is an analysis of data, and there are
16 various ways that you can analyze that data and various
17 techniques, but it is fundamentally a -- it is
18 fundamentally a statistical exercise.

19 MR. THOMPSON: Okay.

20 MS. FRAYER: The only thing I would note is, just for
21 layman's terms, again, sometimes when somebody says it is a
22 statistical analysis, they think of regression analysis
23 right away. And, in fact, the TFP analysis that I have
24 done, the TFP analysis that Dr. Kaufmann has done is using
25 index methods. It is a different numerical technique.

26 DR. KAUFMANN: I would just call it empirical analysis
27 as opposed to statistical.

28 MR. THOMPSON: Empirical, okay. That is even better.

1 So just moving on, then, if each of you use the same data
2 sets and the same sample periods and the same methods of
3 calculating inputs and outputs, would each of you come up
4 with the same number or approximately the same number?

5 DR. KAUFMANN: I think under that scenario, the only
6 way the numbers could differ is in terms of the start and
7 end point of the sample and what you are using to measure
8 the trend. Otherwise, the numbers that would come out of
9 the analysis would have to be the same.

10 MR. THOMPSON: Okay. Well, I classify the start and
11 end point debate as a sample period. So if you all use the
12 same approaches, you should end up with the same number.
13 Okay. Thanks.

14 Now, let's move to my first topic, then, data
15 availability.

16 Here, again, I am trying to focus on where we've got
17 consensus and where we don't have consensus, but am I
18 correct that -- well, first, let's start with the Board
19 report. The Board summarizes data availability at pages 13
20 to 16 of its report, and do each of you accept that summary
21 as a reasonable description of the data availability?

22 To put it more specifically, are there any points
23 there that you suggest that are wrong in this summary that
24 the Board has provided?

25 DR. YATCHEW: Thirteen to 16?

26 MR. THOMPSON: I have it pages 13 to 16 under
27 productivity factor where they summarize the data.

28 When you read it, did you see anything there that

1 caused you concern, in terms of its description of what
2 each of you had said?

3 MS. FRAYER: No. The one thing I would add is that
4 since the Board report was issued, 2007 Ontario data has
5 also become available.

6 MR. THOMPSON: Right. Okay. Do I -- am I correct
7 that each of you considered data for 2007? I know you did,
8 Ms. Frayer, and I believe you did, Mr. Kaufmann. Did you?

9 DR. KAUFMANN: Actually, I didn't, because at the time
10 we made our recommendations only 2006 data was available.

11 MR. THOMPSON: Okay. So Ms. Frayer is the only one
12 that has used 2007 data; is that right?

13 DR. KAUFMANN: Well, we have updated the -- we have
14 updated the benchmarking analysis to include 2007 data. So
15 that does have an impact on the stretch factors, but we're
16 talking about the productivity factor here.

17 MR. THOMPSON: All right. That's what I understood
18 from your material, that it did have some 2007 numbers in
19 it. Am I correct?

20 DR. KAUFMANN: On the stretch factor, yes.

21 MR. THOMPSON: All right.

22 Now, am I correct that none of you considered data
23 prior to 1988?

24 DR. KAUFMANN: Yes.

25 MR. THOMPSON: Is that right? Okay. So that the
26 maximum sample period that we have here in the data is 20
27 years, '88 to 2007; is that right?

28 DR. KAUFMANN: That we have available at the moment.

1 MR. THOMPSON: Right, okay. But for this case, the
2 maximum period is 20 years?

3 MS. FRAYER: Yes.

4 MR. THOMPSON: That's right? Now, in terms of the
5 available data, the Board report describes three sets.
6 One, we have US data, as I understand it, for the complete
7 period, '88 to 2007; is that right?

8 MS. FRAYER: No. US data is only through 2006.

9 DR. KAUFMANN: That's right.

10 MR. THOMPSON: Okay. And then we have -- so turning
11 to Ontario, we have Ontario data '88 to '97; is that
12 correct?

13 DR. KAUFMANN: Yes.

14 MS. FRAYER: We don't actually have the data, per se,
15 as much as the actual results of the TFP analysis done to
16 cover that data.

17 MR. THOMPSON: Is that not data?

18 MS. FRAYER: Well, the results.

19 MR. THOMPSON: Results, okay.

20 MS. FRAYER: The results from the Cronin and King
21 study.

22 MR. THOMPSON: Then there is a gap '98 to 2001; is
23 that right? Then we have Ontario 2002 to 2007; is that
24 right?

25 MS. FRAYER: Yes.

26 MR. THOMPSON: Is that correct?

27 DR. KAUFMANN: Well, we have two sets of Ontario data.
28 We have 2002 through 2006, which I calculated, and 2002

1 through 2007, which Ms. Frayer has calculated using
2 alternative methods.

3 MR. THOMPSON: Okay. Do I understand that this gap in
4 Ontario data is temporary and will be filled by the time of
5 the next case?

6 DR. YATCHEW: We can't answer.

7 DR. KAUFMANN: That's up to the Board and Staff.
8 Ultimately, it depends on -- there would be some effort
9 involved to develop the data and reconstruct. It is
10 essentially a data reconstruction.

11 So it is up to the Staff. Staff has indicated - and
12 that's written in the Board report - that at some point in
13 the future they do plan to rectify -- fill in that gap and
14 make total cost benchmarking and total factor productivity
15 from Ontario possible.

16 MR. THOMPSON: So none of you is going to fill it,
17 unless somebody retains you to do it. Is that what you're
18 telling us?

19 MS. FRAYER: Well, I would update my analysis if the
20 data was publicly available.

21 MR. COWAN: Sorry, I could comment on Board Staff's
22 intention at this time, and that is that our -- the
23 interval that Mr. Thompson is requesting about, the period
24 from '98 through to 2001, is a period of time during which
25 the industry was under maximum transition, the period for
26 which, at this time, we do not have a means of gathering
27 data without direct gathering from each of the 83 remaining
28 distributors.

1 So we don't have a project in mind to access or to
2 gather such data.

3 MR. THOMPSON: Okay, that is helpful. So in terms of
4 the witnesses, I took it from what was being said yesterday
5 and I may have this wrong, that there was a consensus that
6 each of you agreed that if all of the Ontario data was
7 there, it should be used as opposed to US. Did I
8 understand that correctly?

9 DR. KAUFMANN: If all of the Ontario data was there to
10 calculate TFP in a rigorous way, yes, it should be used.

11 DR. YATCHEW: That's not to say that US data might not
12 inform --

13 MR. THOMPSON: But it would be the check?

14 DR. YATCHEW: The Ontario data would certainly be
15 preferable.

16 MR. THOMPSON: Okay.

17 MS. FRAYER: I would add a little bit of a caveat on
18 this, and that depending at what point we start the
19 analysis, the current analysis I have done has used
20 conjectures or estimate that Pacific Economics Group put
21 together on the missing years. To the extent we needed to
22 rely, again, on some element of conjectures for some small
23 portion of the period, I would prefer to do that than to
24 rely solely on another jurisdiction's total factor
25 productivity estimate.

26 So, again, I would like to be able to use Ontario
27 data, as we keep saying warts and all, as best as possible.

28 DR. KAUFMANN: Can I make just one statement regarding

1 the Ontario data which may not be clear, but what is
2 reflected in the TFP estimates that have been done and put
3 forward as Ontario TFP estimates, they really are
4 constructed from three different separate sets of estimates
5 done by three researchers using three different techniques.
6 There is the '88 through '97 estimates. There are the
7 fill-in-the-gap estimates that we did, and -- which are
8 based on a type of conjecture, and then there are the
9 estimates that we've done and that have been recently put
10 forward for the -- past 2002.

11 So I think it is important to keep that in mind when
12 we talk about the Ontario data, that there is no
13 consistency between the results, between those periods.

14 So that there can be a lot of -- there can be a lot of
15 jumps and gaps and inconsistencies going from one period,
16 subperiod to the other.

17 MR. THOMPSON: But what I am looking out to the next
18 case and asking, what happens in the next case when we've
19 still got this gap unfilled? Are we still going to be tied
20 to a mix of US and Canadian data? Or US data entirely?

21 Can you help me there?

22 DR. KAUFMANN: I think the intention is to transition
23 entirely to Ontario data and to fill the gap.

24 There is some effort involved, but it can be done.
25 There is a fairly limited number of variables that need to
26 be -- that we need to gather information on to come up with
27 credibility TFP estimates.

28 That doesn't mean we will be able to extend the TFP

1 estimates all the way back to '88 in Ontario. But if we
2 need say a 10- or 11-year trend of for Ontario data which
3 is what I think is reasonable to come up with the TFP
4 productivity factor, then I believe that will be possible.

5 MR. THOMPSON: Okay.

6 MR. SOMMERVILLE: Given the, what was happening during
7 the gap period, the transition of the industry, a radical
8 transition of the industry, do we think that that
9 information has the same relevance and coherence that we
10 would characterize the other data as having?

11 Isn't this a really, truly anomalous period that ought
12 to be discounted? Is that a point of view that has merit?

13 DR. KAUFMANN: I think it could. I think that's
14 ultimately -- well, it's partly an empirical issue to see
15 just how different those years are from the other years.

16 But there are precedents in regulatory proceedings for
17 discounting periods that are anomalous for one reason or
18 another. For example, there have been TFP trends
19 calculated for companies immediately after privatization,
20 companies that state-owned, and it is known those companies
21 experienced huge productivity gains in the first few years
22 after privatization.

23 So sometimes there have been TFP studies that have
24 been estimated that eliminate those years as being non-
25 representative of the future. So that could be warranted
26 in --

27 MR. COWAN: Mr. Sommerville, I wonder if I could
28 comment. I believe the challenge is the degree of

1 difficulty of acquiring the information. And we have
2 contacted some of the largest distributors in Ontario
3 regarding the period in time that we're talking about, the
4 period of absent information.

5 There are some major utilities that are unable to
6 discover or find the data. So I see that the issue of
7 acquiring that information for that period is far more
8 challenging than a simple: Would you please provide the
9 data to us?

10 Aside from the fact that it is getting to be long in
11 the tooth data, in terms of how a utility is operating, for
12 them to do what I have referred to as an archaeological
13 exercise to dig out a lot of past information, when, in
14 fact, most of them have undergone some degree of
15 amalgamation and restructuring, is a challenge to them that
16 would, I believe, be seen as excessive regulatory burden.

17 So we have walked those shoes a little bit, but then
18 backed up to a wait and understand more fully how it might
19 serve in terms of a value proposition.

20 MR. VLAHOS: Do you have a sample for that? Instead
21 of using all of the total population?

22 MR. COWAN: We didn't do a rigorous, Oh, we should
23 phone this one, this one, this one, this one. But it was
24 done during the period of time, about a year and a half
25 ago, and I would venture to say that I personally had
26 contacted approximately six distributors, most of them the
27 large ones. In my view, I didn't consider it necessary to
28 contact smaller ones, because the probability of them

1 having the records was less, in my view, than those that
2 had a more developed business system.

3 MR. SOMMERVILLE: Not only is the data difficult or
4 impossible to acquire, it may not be of much value once you
5 get it. Isn't that the situation?

6 MR. COWAN: It is a suspect time period and that I
7 agree with.

8 MR. SOMMERVILLE: Ms. Brickenden.

9 MS. BRICKENDEN: I would like to ask Julia, Adonis and
10 Larry, if perhaps -- come our next round, around 2012 we
11 will have 10 years of data. And perhaps if we could get
12 the capital additions data, I think Julia you mentioned it
13 in your presentation, going farther back, say, you know, a
14 longer period of time, 30, 40 years, I don't know what --

15 MR. SOMMERVILLE: Dr. Cronin's observation.

16 MS. BRICKENDEN: Perhaps -- what is your opinion on
17 that? 10 years plus the capital additions data?

18 MS. FRAYER: In answer to Mr. Thompson's question, I
19 have been scribbling to figure out the three-year term when
20 that's going to expire and when we would have a
21 consultation for 4th generation IRM.

22 We would probably have close to, depending on the
23 reporting time frames, close to 2002 through 2010 or 2011
24 data from the triple Rs available for the LDCs. So that
25 would, I think, give us a much vaster data set of actual
26 data at that point in time.

27 Then depending on the methodology and the availability
28 of capital additions, one could do different approaches to

1 quantifying the quantity of capital inputs more rigorously,
2 especially if you have a longer term capital additions
3 profile at that point in time.

4 I think, hopefully I think we do hope there will be
5 better conditions to use Ontario data at that point in
6 time.

7 MS. BRICKENDEN: Adonis?

8 MR. COWAN: With respect to Mr. Thompson's question, I
9 mean this is his question and we're sort of, we're piling
10 on in a sense. I hope he doesn't mind.

11 MR. THOMPSON: Pile on. I am used to that.

12 MR. COWAN: I think the panel needs to know and it is
13 further to Dr. Kaufmann's observation with regard to the
14 period of time from 1988 through to 1998, that when you
15 made the reference, Dr. Kaufmann, to it being the data in
16 the TFP report, I think that is an important comment or
17 point to make.

18 Board Staff is not in a position to attest to the
19 accuracy of the data that has been brought forward with
20 regard to that TFP trend study.

21 We understand, and I would put some questions to Ms.
22 Frayer about how many entities are involved in the data set
23 that was used for that period, just to help us understand
24 how robust it is.

25 MR. SOMMERVILLE: Do we need that level of detail at
26 this stage?

27 MR. COWAN: Well, you may not. All I wish to do is to
28 raise the question about how intensely we can rely on the

1 data from '98 -- from '88 to '98, and that question could
2 be explored more fully if you so wished.

3 MR. SOMMERVILLE: You may want to address that in
4 argument, and I think we should carry on.

5 Mr. Thompson?

6 MR. THOMPSON: Okay, thanks. So what I am drawing
7 from this, witness, is that --

8 MR. SOMMERVILLE: Adonis has a parting observation.

9 DR. YATCHEW: I was asked whether I had a comment, and
10 my view of it was that 10 years of good data is highly
11 desirable and we could move forward on that, provided that
12 the capital data goes back far enough that it will provide
13 a good way of calculating the quantity, quality of the
14 capital stock. Pretty much all the problems being caused
15 here are -- perhaps I am exaggerating a bit, but they have
16 to do with the capital data.

17 So it depends what you are able to do in that
18 dimension.

19 DR. KAUFMANN: I would agree. I think when I said
20 that I thought that we can transition to Ontario data in
21 IRM 4, what I meant was that I think the worst case
22 scenario is that we can develop a TFP trend for 2002
23 through 2011, assuming that we have good capital additions
24 data. If we do that, then we can develop TFP measures that
25 we have confidence in.

26 MR. THOMPSON: What I am drawing from this is the
27 disagreements that are data related are likely to be
28 temporary. As time passes, that stuff is going to

1 disappear; is that fair?

2 MS. FRAYER: I think that is fair. I would also add
3 that I would like to see additional data that may not be
4 currently available, but that's a secondary point and
5 probably less related to historical productivity analysis
6 for the industry, but more related to relative
7 benchmarking.

8 MR. THOMPSON: Let's move, then, in terms of the
9 recommendations and the data on which it is based. PEG's
10 recommendation is 0.88 percent and that's based, as I
11 understand it, on US data for the ten-year period -- is it
12 for the nine year-period, 1998 to 2006?

13 DR. KAUFMANN: In fact, it is the 11-year period, 1995
14 to 2006.

15 MR. THOMPSON: 1995, all right.

16 Dr. Yatchew, your recommendation at the -- you have a
17 band of between 50 and 60 basis points, as I understand it.
18 The 60 basis point band is based on the same US data PEG
19 uses, but you weight the last five years?

20 DR. YATCHEW: There are two elements going on here.
21 One is that because of the arguments I have set forth, I
22 believe that the earlier data from 1988 to 1996 is also
23 informative in providing an estimate of a long-term target
24 TFP value productivity factor.

25 However --

26 MR. VLAHOS: Dr. Yatchew, I'm sorry. I'm getting a
27 signal from here that we cannot hear you that well, so if
28 you can come closer to the microphone, please.

1 DR. YATCHEW: I'm sorry.

2 MR. THOMPSON: You are getting too tutorial. You have
3 to lean forward and sit down at the mike.

4 DR. YATCHEW: There are two essential differences.
5 One is that I believe that if good data are available for a
6 longer period of time, then by all means use it.

7 And there is no evidence to suggest that the earlier
8 data, prior to 1995 going back to 1988, should be entirely
9 discarded. As part of the data that's trying to -- we're
10 trying to estimate long-term average productivity growth
11 from. That's one element.

12 The other element is that recent patterns that vary
13 over time - and they're quite explicit in the graph that I
14 put up - should also be taken into account in trying to
15 determine a reasonable forecast for the upcoming three-year
16 window. That's because there are persistent economic,
17 regulatory and other effects that don't -- that aren't
18 random year to year.

19 So just because we've had -- weather tends to be a
20 much more random variable. These other variables tend to
21 be more persistent, and it is useful to take these into
22 account in trying to make a forecast.

23 How you combine those two deals with your question of,
24 Well, how do you weight those two? And that is a
25 relatively more open question, but I think both elements
26 need to be considered in coming up with a reasonable
27 forecast.

28 MR. THOMPSON: The point I was trying to make, Doctor,

1 is you use US data, as does Dr. Kaufmann in coming up with
2 one facet of your recommendation. So you are comfortable
3 with US data for the purposes of this case?

4 DR. YATCHEW: I have expressed discomfort about the US
5 data for the purposes of the US case. Unfortunately, we do
6 not have better data at this time. We don't have better
7 Canadian data at this time, and I gave specific
8 institutional reasons why I think Ontario might be
9 different from the US.

10 MR. THOMPSON: I understand that. I am focussing on
11 the recommendations you made in this case.

12 Ms. Frayer, what you have done, if I understand it
13 properly, is for the period '98 to '97 -- sorry, '88 to
14 '97, if I've got this right, do you accept US data there or
15 are you accepting Mr. Cronin's data? I didn't quite
16 understand whether you accept US data in that subset of
17 what you've done.

18 MS. FRAYER: The 1988 through 1997 annual average
19 productivity targets during that period are based on the
20 Ontario-specific analysis that was presented by Dr. Cronin
21 and Dr. King in the first generation IRM. So it is
22 Ontario-specific.

23 What I -- what my recommendation rests on is a
24 synthesis of Ontario-specific elements to come up with an
25 Ontario 20-year average estimate.

26 MR. THOMPSON: All right. But in that subset, '88 to
27 '9 -- is it '96?

28 MS. FRAYER: '97, I think.

1 MR. THOMPSON: -- '97, is there any material
2 difference between Ontario and US?

3 MS. FRAYER: I have not investigated Ontario and US
4 issues for specific subsets or periods.

5 More generally, I've discussed where I think
6 differences lie across the board between Ontario and US.

7 MR. THOMPSON: All right. Then for the missing
8 period, you use PEI's -- sorry, you use PEG's conjectures,
9 I think is the way you described it, and they're based on
10 US trends?

11 MS. FRAYER: I don't want to speak to Dr. Kaufmann,
12 but I used the -- I did use the conjectures that he created
13 in his report under model II and model III, which basically
14 fill in the missing years' period based on an analysis of
15 US and Ontario trends surrounding that missing period.

16 MR. THOMPSON: You accept what he has done?

17 MS. FRAYER: What?

18 MR. THOMPSON: You accept what Dr. Kaufmann has done
19 for that little piece?

20 MS. FRAYER: Yes.

21 MR. THOMPSON: Okay. Then for the next piece, the
22 2002 through 2007, you have condition your own thing?

23 MS. FRAYER: Yes.

24 MR. THOMPSON: And there, you have changed the method
25 of calculating capital inputs in that stub piece?

26 MS. FRAYER: I have very specific recommendations on
27 the inputs and outputs of the TFP calculation.

28 MR. THOMPSON: They're only applied to that stub.

1 Have I got that straight?

2 MS. FRAYER: They're only applied to the actual raw
3 data, which is publicly available.

4 MR. THOMPSON: And the numbers that come before that,
5 do they implicitly adopt the method that Dr. Kaufmann said
6 is standard, the accounting depreciation method?

7 MS. FRAYER: Well, remember the conjectures are not
8 based on any TFP method, per se. They're conjectures.

9 MR. THOMPSON: What about the numbers before
10 conjecture?

11 MS. FRAYER: The numbers before the conjectures, Dr.
12 Cronin and Dr. King's study is based on a monetary value
13 approach of capital.

14 But recall my proposition is that I believe that if
15 you have sufficient capital data, that you can make
16 adjustments to your profile correctly, that some of the
17 biases should be reduced.

18 Dr. Cronin -- Dr. King in his testimony suggested that
19 for his first study, he had data going back many, many,
20 many years.

21 So I think that there should be a convergence, if you
22 will, of different methods to the same result, if in fact
23 the data is available.

24 MR. THOMPSON: All right. This is the one hoss shay
25 method, is it, that you have used in the stub period?

26 MS. FRAYER: In the 2002 to 2007 period, I used -- the
27 one hoss shay refers to depreciation. The method itself is
28 called the physical capital method. In effect, it is

1 looking at inventory of capital stock.

2 MR. THOMPSON: What does one hoss shay mean? Is that
3 some Texas phrase or something?

4 MS. FRAYER: I wish it was. It is actually from the
5 Oliver Wendell Holmes poem, referring to a buggy from the
6 1900s that would work and work and work until it didn't
7 work anymore. It fell apart. But it is effectively, I
8 think, the 21st-century example of the whole concept.

9 MR. THOMPSON: But if the Board rejects your one hoss
10 shay approach, your number of 58, does it become about
11 0.72? What does it become, if we stick with accounting?

12 MS. FRAYER: Well, I don't know.

13 MR. THOMPSON: You don't know?

14 MS. FRAYER: I am not sure I have tested that.

15 MR. THOMPSON: Well it's going to go higher; right? I
16 just assumed a 20-year average, it would get close to the
17 0.72.

18 MS. FRAYER: It's actually quite interesting if you
19 compare the capital input quantity index that I have
20 created and that Larry has created, in isolation and drop
21 his in, his is growing faster than mine. So that would
22 suggest even lower TFPs, in my calculations.

23 So I think that is something we could test, but I
24 haven't done it and I think that we can't guarantee right
25 now that it would mean higher TFPs for that period.

26 MR. THOMPSON: All right. So there is no evidence
27 what yours would be if the one hoss shay method is
28 rejected. So does that mean if the Board rejects that,

1 your recommendation falls by the wayside?

2 MS. FRAYER: Well, my recommendation is a
3 comprehensive recommendation, and it follows through that I
4 believe empirically, based on Ontario data, the range of
5 total factor productivity growth historically has been from
6 .43 to -- .42 to .73 percent. The .58 is the midpoint.

7 MR. THOMPSON: Dr. Yatchew, now your recommendation,
8 you don't get into this one hoss shay business. What you
9 do is weight the US data with giving the, I think it is the
10 last five years, a particular weighting?

11 DR. YATCHEW: Yes.

12 MR. THOMPSON: Okay. Then you also look at Dr.
13 Kaufmann's Ontario data for the last five years and do a
14 weighting based on that.

15 DR. YATCHEW: Yes.

16 MR. THOMPSON: That gives you between 50 basis points
17 and 60 basis points.

18 DR. YATCHEW: That's correct.

19 MR. THOMPSON: All right. And you give us then the
20 midpoint of .55.

21 DR. YATCHEW: If I could just add to that. If we were
22 looking at trying to set a regime that was going to last 10
23 years, for the sake of argument, or even longer, then of
24 course I would put less weight on the most recent years and
25 more weight on the longer term trend which is, I think, the
26 point -- related to point you were trying to make earlier.

27 MR. THOMPSON: If the Board rejects your weighting
28 approach, does your number become, for 20 years, .72

1 percent?

2 DR. YATCHEW: If the Board is prepared to set a 20-
3 year target base productivity factor then our best evidence
4 right now would be .72.

5 MR. THOMPSON: Okay. Dr. Kaufmann, on your data if
6 the Board went to 20 years, is the number .72? In other
7 words, have we got a consensus on that number on a 20-year
8 scenario.

9 DR. KAUFMANN: Technically, it is 18 years, it is '88
10 through 2006, but .72.

11 MR. THOMPSON: Close enough, okay.

12 DR. KAUFMANN: Can I respond to a couple of statements
13 that have been made about my work just to correct the
14 record.

15 MR. THOMPSON: Yes. I am trying to avoid this.

16 DR. KAUFMANN: Julia said we used conjectures to fill
17 in the '98 through 2001 period, which is not technically
18 true.

19 What we did we used various scenarios based on US TFP
20 trends which were calculated using monetary values of
21 capital.

22 So in terms of your question, you were asking about
23 whether there was an inconsistency in the capital treatment
24 up to 2002 and post 2002, the answer is "yes".

25 There was a monetary valuation that was used from '88
26 to '97 by Dr. Cronin. Then there with a monetary valuation
27 that we used on a different data set from '98 through 2002
28 and then there was a switch to the one hoss shay physical

1 depreciation.

2 You also asked about the US-Ontario TFP growth between
3 '88 and '97 and how they compared. We presented evidence
4 on that and the Ontario TFP grew was a bit more rapidly
5 than the US TFP during those years.

6 MR. THOMPSON: Okay, thanks. Turning to the method of
7 calculating inputs and outputs, I have already discussed
8 this one hoss shay business.

9 Now, is there anything else of a method of calculating
10 inputs and outputs on which there's material disagreement,
11 in other words affects the numbers? I took it this was the
12 only major point, but my question of the three of you is:
13 Am I right?

14 DR. KAUFMANN: Well, there are differences in
15 calculating both outputs and inputs but the biggest
16 difference by far is more the capital input, which is the
17 biggest input in this industry.

18 Ms. Frayer has adopted a one hoss shay assumption,
19 which ignores physical decay. And you get very different
20 estimates of capital quantities, because essentially what
21 you're doing there is you're focussing on the gross capital
22 stock and not the net capital stock. Those are two very
23 different numbers.

24 MS. FRAYER: I just want to correct --

25 MR. SOMMERVILLE: I think the record already shows you
26 don't agree with that characterization.

27 MS. FRAYER: That's fine. One other, I think,
28 difference in passing just -- and I think we have talked

1 about it in the March workshop extensively, is that I had a
2 three output, multi-dimensional three-output definition.
3 Dr. Kaufmann used a two-output definition, in this
4 particular case, because of limitations of the US data.

5 MR. THOMPSON: Okay. Now, on the -- let's turn to the
6 next topic then this issue of weighting. The principle I
7 would put out for comment is this.

8 Do you agree there should not -- you shouldn't weight
9 any particular component of a statistically significant
10 time period without a convincing demonstration that is,
11 what has occurred in that time period is unlikely to
12 reoccur.

13 MS. FRAYER: Well, weightings are done for many
14 various reasons. So I am not sure -- can you reread the
15 question or do you want to take a crack? Because I think
16 of weighting as, it's an empirical technique and it is done
17 for a variety of reasons, in fact, you do weighting within
18 statistical analysis.

19 MR. THOMPSON: You don't do any weighting in your
20 sample, in your recommendation.

21 MS. FRAYER: I have noted that I have conservatively
22 not weighted it, although I think based on the previous
23 record you have, I have noted multiple times that I think
24 that there is a need to recognize that TFP growth has been
25 negative, in my opinion, over the recent past and that has
26 very strong implications for a three-year forward-looking
27 IRM, because I don't think that negative growth will,
28 tomorrow, reverse itself to very positive large-value

1 growth.

2 MR. THOMPSON: Well let me try it this way. Would
3 each of you agree that to the extent you weight a portion
4 of a sample, you distort the results of the sample. Do you
5 agree with that?

6 DR. YATCHEW: No.

7 MR. THOMPSON: Pardon? You don't agree with that?

8 DR. YATCHEW: No, I don't agree with that it's not the
9 results of the sample that you care about. It is, what you
10 care about is the prediction that you are trying to make.
11 So you're trying to make, you are assigning weights because
12 you are trying to improve the quality of the prediction
13 itself.

14 MR. SOMMERVILLE: I liked your first question better,
15 Mr. Thompson, which was: If a set of circumstances is
16 unlikely to repeat itself, ought it to be weighted?

17 I think what was your first question.

18 MR. THOMPSON: Yes.

19 MR. SOMMERVILLE: It would seem to me, you may want to
20 lightweight a set of circumstances that is not likely to
21 occur again. You may want to discount the implications of
22 that period. But you certainly wouldn't want to emphasize
23 that through a positive weighting. Is that a fair -- that
24 makes sense to me. Am I wrong?

25 DR. YATCHEW: Yes.

26 MR. SOMMERVILLE: I am wrong?

27 DR. YATCHEW: No, no, no. I agree with you. I agree
28 with what you said. But let me try to be visual about

1 this. In the graph that I put up last session and the one
2 that I...

3 MR. THOMPSON: Move forward again, Doctor, so we can
4 hear you.

5 DR. YATCHEW: Thank you. The one that I put off last
6 session, the one that I keep going back to because I think
7 it is, for me it is very informative, and it is the next --

8 MR. THOMPSON: Is this your sine graph, sine curve
9 graph?

10 DR. YATCHEW: Not quite, but it does look
11 trigonometric.

12 MR. SOMMERVILLE: It appears twice in your material.

13 DR. YATCHEW: It does, deliberately. It does
14 deliberately.

15 MR. SOMMERVILLE: I thought so.

16 DR. YATCHEW: My mother taught me to repeat things.

17 What I am seeing here is that there is some systematic
18 short-term trends, and if we're looking at the end point of
19 the yellow curve, it is unlikely that whatever happened
20 before that is going to reverse itself instantly and you're
21 going to be at the top of the curve of that trend in the
22 next year.

23 That's why I am more or less unwilling to take just
24 the long-term average as my best short term predictor.

25 My long-term average is a good long-term predictor,
26 but this is a short-term prediction, and so that's why I am
27 inclined to add some weight for the short-term recent
28 effects.

1 MR. SOMMERVILLE: Sorry -- oh, sorry.

2 DR. YATCHEW: And you did make the point about, well,
3 should we -- is the statistical significance relevant?

4 And that curve is statistically significant, and I
5 could write you down the sort of formulas and the results
6 for that. That explains about 18 percent of the variation
7 there.

8 MR. SOMMERVILLE: Part of what Dr. Yatchew said there,
9 it seems to me, was to the effect that the fact that the --
10 that yellow line is downward trending coincided, to some
11 extent, with your most recent comment, Dr. Frayer, to the
12 effect that if you have a downward trend, it is unlikely to
13 reverse itself instantly.

14 I think you said that, too, Dr. Yatchew. So that
15 would argue -- and if we were looking at a total factor
16 productivity for a shorter period, that would have
17 relevance in that kind of consideration. That would not
18 necessarily be an architecture for an ongoing TFP
19 assessment, but maybe work like for a short -- for a short
20 period.

21 Does that make sense?

22 DR. YATCHEW: Yes.

23 DR. KAUFMANN: Remember, we're talking about the US
24 data here. What we have here, and I have mentioned this
25 several times, that there is a very specific reason that
26 TFP has been declining since 2002 through 2006. The
27 biggest driver of that is the changes in pension
28 contributions. That's also why we're seeing this upward

1 trend in 1997.

2 So you really cannot divorce -- you can't just look at
3 a smoothing of the volatility. You really have to
4 understand what's going on with the numbers to really
5 assess the issue of whether this trend -- whether you have
6 any confidence that this trend is going to persist in the
7 future.

8 I don't believe -- the 2002 through 2006 circumstances
9 that are driving that downward trend, those are specific to
10 what's happened in those years and is a catch up. That's
11 why I always said that you have to be very careful about
12 weighting any observations more than others, because
13 inherently there is some volatility within these numbers.

14 And what happens in certain years might be offset with
15 what happens in later years. The Ontario data also show
16 that. In the '88 through '97 period, there was a downward
17 trend for the first half of the sample. That was not
18 predictive of what happened in the second half of the
19 sample.

20 So I think we have observations from both Ontario and
21 the US which really suggest that we should be very cautious
22 about weighting any four-year period or weighting any
23 period more than any other period.

24 We have to know what is driving it. We have to know
25 -- we have to have confidence it is going to persist in the
26 future.

27 MR. SOMMERVILLE: Your colleagues are inspired to
28 respond.

1 DR. KAUFMANN: That's fine.

2 DR. YATCHEW: My first response is that if these
3 really are unique effects in the United States, then that
4 drives a wedge between the validity of the use of these
5 data, the US data and Ontario, at all.

6 Now, on the other hand, there have been -- there has
7 been a decline in productivity, measured productivity, in
8 your own documents over the last five-year period, from
9 2002 through 2006, quite substantial in Ontario, actually
10 more than in the US, and consistent with that pattern in
11 the US.

12 So, I mean, we can't ride both sides of the street
13 arguing these are unique effects in the United States so
14 they're not applicable in Ontario. Why are we using the
15 data, then?

16 DR. KAUFMANN: That's not what I said. What I said --
17 and I do believe that fundamentally the businesses are the
18 same. Canadian companies have to make -- they're making
19 pension contributions, as well.

20 They probably -- it was a rational thing to conserve
21 on those in the late '90s when you didn't have to make
22 those to meet your obligations.

23 So what I am saying is not that this is unique to the
24 US, but it is unique to the sample period and it is unique
25 to factors that were going on in the first half of the
26 period versus the second half.

27 So this doesn't invalidate the use of US data for
28 Ontario. It is just a question of knowing there is

1 volatility and that there can be catch-up spending in a
2 second half of the period relative to what is reflected in
3 the first half.

4 Now, you made a second point, which slipped my mind.

5 DR. YATCHEW: Well, I guess in more general terms, the
6 pension issue is just one of a variety of issues - others
7 that I mentioned and we all mentioned - that we have
8 believe have contributed towards declining productivity and
9 they're not likely to abate, including increased regulatory
10 requirements, infrastructure that is deteriorating, the
11 recessionary effects that are occurring in the US and the
12 job losses in Ontario. Those are other issues that would
13 also likely be persistent.

14 DR. KAUFMANN: Well, again, that's not at all clear,
15 in my opinion, because for the sort of increases in OM&A
16 that we have seen, for that to be a continuing drag on TFP
17 growth, what we would have to see is not just that the
18 spending costs are maintained, but that those obligations
19 and those costs continue to increase at the same rate in
20 the future as they have in the past. That is not at all
21 clear.

22 And in terms of the recession in the US, I mean, the
23 US isn't in a recession now. It has been hit by, you know,
24 enormous hits. It is not in a recession yet. It is not at
25 all clear there is going to be a recession. If there is,
26 it won't last for five years.

27 So I don't think you can even look at current
28 circumstances and get a great deal of confidence on the

1 impact that that is going to have going forward.

2 Let me just mention two other things that could have
3 implications for TFP growth in Ontario that go in the other
4 direction. One is mergers. There have been a number of
5 mergers, and we know that mergers are driven in part by
6 expectations of efficiency. We're not controlling for that
7 either, but that's a development in the industry in Ontario
8 that could drive TFP higher in the future.

9 A second is smart meters. Smart meters can have --
10 smart meters are coming online system wide, province wide,
11 and a number of companies believe that smart meters can
12 lead to all kinds of operational efficiencies in terms of
13 understanding thermal loading and optimizing the system.
14 It gives companies much more information. That can lead to
15 more productivity.

16 So we shouldn't be engaged in an exercise of trying to
17 understand every little twist and turn and controlling for
18 it. Rather, I think we should look at the data and see
19 what the long-term trend is. That is our best estimate of
20 what is going to happen in the future.

21 MR. THOMPSON: Time out.

22 MR. SOMMERVILLE: Very briefly, just to give you --
23 Ms. Frayer, just a very brief --

24 MS. FRAYER: My only question is, in terms of your
25 mention of mergers and smart meters and other drivers of
26 efficiency, in my understanding, they do produce
27 efficiencies, but it takes time to produce them.

28 How does that fit in within the concept of a three-

1 year 3rd generation IRM period? You know, we're not having
2 mergers left and right. I think last year we had a handful
3 of mergers over 80 LDCs. That's not the entire industry
4 merging into one amalgamation, and those synergies come
5 over many years over lots of hard work.

6 MR. VLAHOS: Mr. Thompson, if I can just -- if I can
7 be equally as guilty and take a bit of time.

8 We talked about smart meters, which is a physical
9 thing. There is some expectation it will lead to
10 productivity in a physical sense when you measure amount of
11 output, given amounts of inputs.

12 But then there has been a whole discussion about
13 pension costs, which is a more Ontario thing. I am
14 confused as to how the two -- are the two in the same
15 category? One measures physical things. The other one is
16 just monetary.

17 So I am confused as to how pension costs may have
18 anything to do with what we have to find here.

19 DR. KAUFMANN: Ultimately, I mean, what -- ultimately,
20 it's monetary. The right data to look at are monetary
21 data, but it is not so much physical versus monetary. What
22 it is is you try to look to the monetary data and separate
23 out the monetary costs into two pieces, the pieces
24 associated with prices, so the pieces associated with the
25 price change.

26 That's what should be reflected in the inflation
27 factor, ideally, and the piece associated with the quantity
28 change. So it is not physical versus monetary. There is

1 always a cost. There is always a dollar value associated
2 with these things, but the essence of productivity
3 measurement is not to try to come up with a physical
4 measure, but to separate the price effect from the quantity
5 effect and just have the quantity effect reflected in the
6 TFP.

7 MR. VLAHOS: That's not in dispute among the three of
8 you?

9 MS. FRAYER: I don't think so. The quantities need to
10 be there. In effect, pension costs from an annual
11 perspective add -- one can say they're not reflected in the
12 price of the labour. They're reflected in the quantity of
13 the labour.

14 DR. KAUFMANN: That's right.

15 MR. VLAHOS: So it is a kind of normalization process
16 that one has to go through. Pension is just one example?

17 MS. FRAYER: Just one example. And, actually, that
18 was one of my questions that I didn't ask, is: Is it the
19 only thing? Are we certain that pension is the only thing
20 that is driving that profile for the US?

21 I don't think it is. There is a lot of unknowns in
22 there that is driving TFP.

23 MR. SOMMERVILLE: Sorry Mr. Thompson.

24 MR. VLAHOS: I think Dr. Yatchew has a...

25 DR. YATCHEW: May I be allowed one additional short
26 comment?

27 MR. THOMPSON: Move forward again, Dr. Yatchew.

28 DR. YATCHEW: I am hoping this will --

1 MR. THOMPSON: Move forward to the mike. Every time
2 you lean back --

3 MR. SOMMERVILLE: Different kind of progress.

4 DR. YATCHEW: Moving forward.

5 MR. THOMPSON: I didn't say be progressive, I meant
6 move forward.

7 DR. YATCHEW: I think that to observe Ontario
8 productivity rates at virtually zero over the last five
9 years, numbers that are produced by Dr. Kaufmann, and to
10 conclude that .88, everything is going to be fine now and
11 .88 is the right forecast going forward, has a kind of
12 surrealism to it.

13 MR. SOMMERVILLE: All right. I can see -- I can see
14 the colour rise, Dr. Kaufmann.

15 DR. KAUFMANN: I won't respond.

16 MR. SOMMERVILLE: We take it that you don't accept
17 that characterization.

18 DR. KAUFMANN: I believe there are numbers on the
19 record that show that negative productivity growth can be
20 followed by substantial productivity growth in Ontario.

21 MR. SOMMERVILLE: Thank you.

22 DR. KAUFMANN: So it is not surreal. It has happened.
23 Unless you think the 1993 through '97 period was surreal in
24 some sense, it was the reality.

25 MR. SOMMERVILLE: For some people it was.

26 MR. THOMPSON: Let's move on, gang. We are getting
27 mired here. Now, Dr. Yatchew, at your slide 12 you tell us
28 larger samples deliver more precise estimates. You're the

1 advocate for longer rather than shorter periods.

2 DR. YATCHEW: Yes.

3 MR. THOMPSON: Okay. So that raises the question,
4 then, of what is the minimum period for statistical
5 significance?

6 Dr. Kaufmann has said four years is too short. Now
7 does everybody agree with that? Ms. Frayer is nodding.
8 Dr. Yatchew?

9 DR. YATCHEW: What significance level did you have in
10 mind when you said "statistical significance"?

11 MR. THOMPSON: Well, you tell me. Do you agree with
12 Dr. Kaufmann, that four years is too short?

13 DR. YATCHEW: If that was all that we had, we would
14 have to work with that. If we have better data or
15 additional data, I would be very happy to add that in as
16 long as it can be done in a consistent basis.

17 MR. THOMPSON: So what's your minimum? 10 years?

18 DR. YATCHEW: A minimum number of years for producing
19 a good prediction?

20 MR. THOMPSON: Yes.

21 DR. YATCHEW: It depends on the quality of the data,
22 even. If you're speaking of exactly --

23 MR. THOMPSON: Given what we've got here today.

24 DR. YATCHEW: Given what we've got here today?

25 MR. THOMPSON: Right.

26 DR. YATCHEW: Minimum could be as low as 10 years. It
27 could be as low as 8 years. But that's not the best.

28 MR. THOMPSON: All right. Can I put you down for ten?

1 How about you, Ms. Frayer? Minimum of ten?

2 MS. FRAYER: Ten is a nice round number. But I have
3 to make one comment that I have seen regimes set rate
4 regimes sets in other jurisdictions with less than 10
5 years.

6 MR. THOMPSON: All right. But less than four?

7 MS. FRAYER: Not less than four.

8 MR. THOMPSON: So what's the minimum in other
9 jurisdictions? Eight.

10 MS. FRAYER: I think New Zealand might have used six,
11 or seven, I think, something like that, seven in its
12 initial.

13 MR. THOMPSON: Do you have a minimum, Dr. Kaufmann?

14 DR. KAUFMANN: It's a rule of thumb but my minimum
15 would be nine.

16 MR. THOMPSON: Okay, great, thanks. Dr. Yatchew, just
17 a last question on this. If what happened 20 years ago was
18 less likely to recur, instead of weighting more current
19 period, do you agree an option is to select a shorter
20 period that is statistically significant?

21 DR. YATCHEW: There are lots of options.

22 MR. THOMPSON: Is that one of them?

23 DR. YATCHEW: There are lots of options that are
24 inferior. That would be one of them.

25 MR. THOMPSON: All right. Okay, let's move on, then,
26 to the selection of the sample period and the start
27 point/end point debate which is my last area.

28 Now, in terms of the theory here, as I understand it,

1 the theory is that you have this start point/end point to
2 avoid statistical aberrations. You need a statistically
3 adequate sample - or empirically adequate sample might be a
4 better phrase - that begins and ends under approximately
5 the same external conditions. Is that the theory? Dr.
6 Kaufmann?

7 DR. KAUFMANN: The theory is that the -- I wouldn't
8 call it a theory, but it is more.

9 MR. THOMPSON: Concept.

10 DR. KAUFMANN: The concept. The concept is what you
11 want to do is you want to have a period that gives you a
12 good measure of the underlying trend and I think Jay had a
13 very good visual analogy for it yesterday was the slope,
14 whether the slope is being distorted based on conditions
15 that have either gone toward the front or the end point of
16 the sample. So basically that's what were talking about.
17 We're talking about the slope in TFP, but that slope can be
18 distorted if you're starting at a period that is atypical
19 for some reason. So you want to make sure those periods
20 are comparable so that when you calculate the slope between
21 those points you really are being picking up the underlying
22 trend.

23 MR. THOMPSON: Do the others agree with the concept?

24 DR. YATCHEW: I gave my critique earlier.

25 MR. THOMPSON: You don't agree with the concept at
26 all?

27 How about you, Ms. Frayer? Do you agree with the
28 concept?

1 MS. FRAYER: Well my concern -- I agree with the
2 problem, the underlying problem, if you start cherry-
3 picking your start date, you can affect your results.

4 So I agree with the underlying problem that we're
5 facing here. I am not sure I like the solution that has
6 been offered.

7 MR. THOMPSON: All right. Am I right that the
8 concept's not rooted in any sort business cycle theory. It
9 is rooted in avoiding statistical or empirical aberrations
10 in the results by starting at the wrong point compared to
11 the end point.

12 DR. KAUFMANN: That's correct, and it is based on
13 understanding what those aberrations are for total factor
14 productivity change, and those are in this industry, and
15 those are primarily weather and the state of the economy.

16 MR. THOMPSON: Okay. If we went to the slide that was
17 up on the board there, this was Dr. Yatchew's chart.

18 This shows that, as I understand it, TFP growth,
19 oscillates from year to year. And it has done that over
20 the past, well, whatever is on this chart. Right? Is that
21 right, Dr. Yatchew?

22 DR. YATCHEW: Yes.

23 MR. THOMPSON: Do we have the number for 1988? Is it
24 below zero? Do you know?

25 DR. YATCHEW: For 1988?

26 MR. THOMPSON: For '88 over at the left-hand side, it
27 doesn't start at the axis but I thought that number was
28 available.

1 MS. FRAYER: I think...

2 DR. KAUFMANN: These are US rates. So the first
3 observation would be the growth rate from '88 to '89. So
4 the index value starts in '88 but we don't know the growth
5 in TFP.

6 MR. THOMPSON: Okay. So where would the number start,
7 at zero?

8 DR. KAUFMANN: No. We don't know.

9 DR. YATCHEW: We don't know what it is.

10 MR. THOMPSON: All right. Fine.

11 But if - well, let me ask you this, Dr. Kaufmann.
12 When you determine where your start points are, can we do
13 it by looking at this graph? What are the criteria that
14 prompt you to conclude that wherever you started, is it
15 1988 or 1996?

16 DR. KAUFMANN: '95.

17 MR. THOMPSON: Prompt you to conclude that '95, that
18 the externalities were comparable to 2006.

19 DR. KAUFMANN: Do we have my presentation available
20 that I can pull up?

21 MR. THOMPSON: Just give me the short back of the --

22 DR. KAUFMANN: There is a visual which actually shows
23 it pretty well. There is a slide. If you have it in your
24 pack, the -- this will make it easier to explain. This is
25 in the original.

26 MR. SOMMERVILLE: This is in the original filing?

27 MS. BRICKENDEN: Which slide?

28 DR. KAUFMANN: This is in my presentation from

1 yesterday. It is slide number 20.

2 So what we did, we said that there are three factors
3 that can lead to temporary changes in TFP that are not
4 representative of the long-term trend.

5 Two of those are related to weather, so heating degree
6 days, cooling degree days, especially severe weather can
7 lead to extra output, extra kilowatt-hours, extra
8 kilowatts, et cetera. That is not sustainable going
9 forward or it may not be sustainable for the longer term.
10 And also the unemployment rate. The state of the economy
11 is going to have impacts on how much customers demand.

12 So what we did is we said, our ending point is 2006.
13 So what we want to do is we want to find a previous year
14 where the conditions that prevailed for these three
15 variables in 2006 were as similar as possible to those
16 values.

17 So one of the challenges in doing that is we have
18 three factors and we need to weight them in some way to
19 come up with some overall valuation. What we did is -- if
20 you see this panel below, what we did is we did a company-
21 by-company regression of TFP growth on these factors,
22 heating degree days, cooling degrees days and the
23 unemployment rate.

24 We estimated how much each of these parameters was
25 associated with TFP growth. And that's what we have here,
26 the parameters, and then the T statistics, which shows all
27 of these are significant. So what this shows is as heating
28 degree days go up, cooling degree days go up, measured TFP

1 growth goes up. That is associated with extra kilowatt
2 hour deliveries, things like that.

3 The unemployment rate, the coefficient is negative,
4 which means as there is more unemployment, economic
5 activity decreases, which means there is fewer deliveries,
6 et cetera. So as unemployment goes up, TFP goes down. All
7 of these are statistically significant.

8 What we did is we applied these coefficients. We
9 multiplied these coefficients by the difference between the
10 conditions in 2006 and the conditions in the previous year,
11 and then we multiplied those together, the coefficient, by
12 those differences, added them all up, and that's what we
13 get in this final column, with is the percent difference
14 from 2006 conditions.

15 This is a weighted average of how these three factors
16 differ between 2006 and each of the previous years.

17 And what we find is that the smallest difference
18 between 2006 and any of these sample years is in 1995.

19 MR. THOMPSON: All right.

20 DR. KAUFMANN: So 1995 is most similar to 2006. That
21 was our starting point.

22 MR. THOMPSON: Did you test 1988? In other words, if
23 the Board said, Go back to the best start point before
24 1995, and none of them to 1990 look very good, but did you
25 test 1988?

26 DR. KAUFMANN: No. We stopped in 1990 essentially
27 because I do think that there's a balance that needs to be
28 -- which I talked about, in terms of having a sample period

1 that is -- that's not too old and that may reflect
2 conditions that are not representative of the industry now.

3 So it was my judgment that what we wanted to do is we
4 wanted to look throughout the entire '90s, and then this
5 year, but not go back to the '80s.

6 MR. THOMPSON: All right. But hypothetically, if '88
7 was a fit and the Board said, Go further back to a better
8 start date, then your number would go from 0.88 to 0.72;
9 right?

10 DR. KAUFMANN: Well, that would be assuming that, one,
11 it is a good fit, and, two, that we want to use -- we
12 necessarily want to use that number as opposed to the most
13 recent. I mean, if we came up with two numbers that were
14 similar, I think you could still make a case, and I would
15 make a case, that the more recent number is still better,
16 because it reflects more recent conditions.

17 MR. THOMPSON: Thanks. I'm done.

18 MR. SOMMERVILLE: Thank you. Ms. Girvan.

19 MS. GIRVAN: Thank you. I will be very brief. I know
20 we have to move on. I am Julie Girvan. I am representing
21 the Consumers Council of Canada.

22 I just had a technical question, and I am struggling
23 with this and the three of you can comment on this, if you
24 like.

25 One of the things that I continue to struggle with is
26 that in Ontario historically, and even today - I have seen
27 it in recent applications - some of the Ontario
28 distributors account for things in different ways.

1 So the example I would give is that with -- Hydro
2 Ottawa had a capitalization policy that was quite different
3 than some of the other LDCs.

4 When you are using Ontario data, I am just wondering
5 how that comes into play and how it may affect the
6 outcomes.

7 MS. FRAYER: I can take a crack at it. I think the
8 fact that the capitalization policy is so different
9 stresses the need to use a comprehensive approach to
10 measure total factor productivity.

11 So this is probably a conversation for the next topic,
12 but that is one of my concerns about using any type of
13 partial productivity measures, because you are then
14 basically ignoring one-half of the cost equation, like the
15 capital and labour, knowingly, that there are different
16 policies and that utilities have made intentional choices
17 about the trade-off between capital and labour.

18 MS. GIRVAN: Dr. Kaufmann, would you like to comment
19 on that point?

20 DR. KAUFMANN: On the Ontario data and differences in
21 that?

22 MS. GIRVAN: Yes. I am just curious as to how it
23 might affect the outcomes, because it is a reality within
24 the context of the data. I mean, it really is. It is
25 something that I have always struggled with just in
26 understanding the implications of that, because you are
27 going to have potentially two LDCs that might, you know,
28 look the same, but essentially be very different in terms

1 of the productivity, depending on how they account for
2 capital and O&M.

3 DR. KAUFMANN: I guess there are two -- I can just
4 think of two issues that could be relevant. One is that
5 what we're measuring here is an industry TFP.

6 So there would have to be something systematic within
7 the industry accounting that is relative to standard, in
8 some sense, if it is going to distort the numbers. If
9 these are just random accounting variations that differ
10 among companies, then random changes should balance out.
11 It won't have much impact on the overall result.

12 So in terms of the industry TFP number, if it really
13 is random, I don't know that it would have that big an
14 impact. But the second issue is that -- and this is
15 something that I don't know the answer to, but if an
16 accounting system is -- in Ontario, is not bedded down, in
17 a sense, if it is still kind of in flux, then that, to me,
18 is an argument for not relying on Ontario data right now to
19 set the TFP trend. You want to have more confidence in
20 that underlying data as a basis for relying on it for the
21 productivity factor.

22 MS. FRAYER: Just one question, and maybe this is kind
23 of more general to Larry, but I understand there are
24 different capitalization policies amongst US utilities, as
25 well.

26 DR. KAUFMANN: Yes, there are, but our sample controls
27 for that, and different capitalization policies is not
28 necessarily a cause for concern. I mean, companies differ

1 in terms of where they are in the accounting cycle. The
2 FERC accounts, there are differences, but the FERC accounts
3 are pretty well bedded down. There are differences among
4 companies, but the FERC accounts have been around for a
5 long time.

6 There is a fair degree of consistency among companies.
7 The ones that aren't, we look very carefully at adjustments
8 between transmission and distribution. If companies have
9 huge differences in allocations of cost between
10 transmission and distribution, we don't include them in the
11 -- in our sample.

12 If there are problems with distribution -- reported
13 distribution data in a number of ways, if they seem to be
14 an outlier, if they have much less purported distribution
15 and transmission, then we don't include them in the sample.
16 That is one of the benefits of having a very large sample
17 of companies is you can pick and choose and to set the
18 sample in such a way so that data -- potential data
19 anomalies are not going to be reflected in your sample.

20 MS. FRAYER: The issue of labour versus capital, the
21 capitalization policies, I believe there are differences in
22 the US among utilities, because I don't believe FERC
23 accounting standards are very particular, definitive and
24 exactly what firms need to do within a distribution
25 business profile, leaving aside the transmission and the
26 generation issues of vertically integrated utilities.

27 But within even the distribution aspect, I believe
28 there is a lot of leeway with standard accounting policies

1 and even GAAP accounting, in terms of what companies can do
2 in terms of determining whether to capitalize or to
3 expense.

4 DR. KAUFMANN: There is some leeway, yes.

5 MS. GIRVAN: Okay. So it is an issue. I mean, it's
6 an issue that does affect the data. I think you would
7 probably all agree with that.

8 DR. KAUFMANN: Yes.

9 MS. GIRVAN: I just have a general sort of policy
10 question and I will be very brief.

11 I see an IRM model as a package. So you have the
12 different elements of the package. And we have been
13 discussing these issues for a long time and we've been
14 talking about productivity numbers for a long time.

15 I would like your thoughts, given the Board has
16 defined several of the parameters and -- things like the
17 Board has defined that there is no earnings sharing. The
18 Board has defined that the term will be three years. The
19 Board has defined that there will be a capital adjustment
20 module.

21 I would just like your thoughts. Given that those
22 parameters have been defined, how does that potentially
23 impact your views on the productivity factor?

24 The example I would use is Ms. Frayer was saying that,
25 you know, 30 basis points means a lot to the LDCs, you
26 know, and I agree with that. But, also, given the fact
27 there is not earnings sharing, how does that really impact
28 your conclusions?

1 DR. KAUFMANN: I can start. In my opinion, those
2 factors are more relevant for the stretch factor, the lack
3 of earnings sharing, things like that, because the stretch
4 factor is a benefit sharing mechanism.

5 So since that's the only benefit sharing mechanism
6 within this plan, the fact that there is no earnings
7 sharing mechanism does have implications for that value.

8 I don't think it has any implications for the
9 productivity factor. The productivity factor, in my
10 opinion, should be objective. It should be the best
11 objective measure of the baseline TFP growth going forward.

12 It should be independent of decisions on the other
13 elements of the plan. Just in terms of that 30 basis point
14 issue -- well, I will leave that to the side. I won't get
15 into that, but...

16 MS. FRAYER: I do think that to some degree, the other
17 components of the IRM have impacted some of the analysis we
18 have been making and have definitely impacted the
19 objectives on how we look at the empirical analysis.

20 For example, because it is a short term for 3rd
21 generation IRM, I think it is important to be realistic and
22 pragmatic about what is achievable. That is actually the
23 words I think from the Board report. They want the
24 productivity target to be achievable by LDCs, so that is
25 something that was consistently in the back of my mind, and
26 that is the reason that I have also focussed on
27 incorporating the fact that Ontario LDCs have observed a
28 very negative TFP growth in the recent years and they need

1 to recognize and that and incorporate that into a
2 productivity target going forward.

3 So it definitely has, I think, impacted the
4 conceptually that paradigm.

5 DR. KAUFMANN: I think that does raise the question,
6 though, of what you mean by pragmatic.

7 I think the way I would look at that is that you have
8 to make pragmatic choices on data, things like that, to
9 come up with the most objective measures that you can make
10 for the productivity factor. So there are pragmatic
11 decisions to be made, but still you should be driven by the
12 goal of coming up with an objective measure, the objective
13 measure of what is achievable. I'm not saying that this is
14 a measure, you know not trying to, I don't know, come up
15 with some pragmatic judgment that's outside of what should
16 be driving your focus, which is on coming up with a very
17 objective measure.

18 You shouldn't derive an objective measure and then
19 apply pragmatism. The pragmatism should be focussed on
20 what you have to do to come up with the most objective
21 number.

22 MS. GIRVAN: Just one final question for you, Dr.
23 Kaufmann, in terms of your outcome, your .88 percent. With
24 respect to that recommendation, how does that compare to
25 what you have scene in terms of your studies of other
26 jurisdictions and what's been defined, in more recent IRM
27 plans?

28 DR. KAUFMANN: It's on the low side. It would be one

1 of the lowest approved productivity factors anywhere. The
2 most productivity factors are one percent or higher.

3 MS. GIRVAN: All right. Thank you. Those are my
4 questions.

5 MS. FRAYER: In what context, is it for utilities that
6 are starting anew?

7 DR. KAUFMANN: No.

8 MS. FRAYER: Cost-of-service?

9 DR. KAUFMANN: No.

10 MS. FRAYER: Are they utilities that have been under
11 de facto price caps since the 1990s over 15 years.

12 DR. KAUFMANN: Yes. There are plans San Diego Gas &
13 Electric have been under a form of PBR for years. For its
14 first comprehensive price cap, the plan was approved. The
15 productivity factor there was .92, almost the exact same.

16 MS. FRAYER: But there are --

17 DR. KAUFMANN: Much stronger much stronger and much
18 more explicit PBR plans that have been the case here.

19 MS. FRAYER: There is also examples of other IRM
20 mechanisms in other jurisdictions where it's been the
21 reverse. In the last, I think, UK distribution utility
22 review, they have actually allowed prices rates to go up.

23 DR. KAUFMANN: Well, that is, the UK companies were
24 privatized in 1990. There have been three reviews, there
25 have been four reviews since then, or four different sets
26 of price cap plans. The reviews in 1995, 2000, and 2000
27 [sic], so I guess there have been -- they're in their
28 fourth plan. The first two reviews reduced prices by about

1 50 to 60 percent. So that is true. There are -- prices
2 are down essentially flat after productivity gains and
3 price cuts in the UK for distribution. For some companies
4 they're equal to 60 percent. So you have to keep that in
5 mind.

6 Sure, I mean you can't -- you know, once you have cut
7 prices 60 percent, the potential to continue to cut prices
8 is pretty limited. But, that is the context for the UK
9 decision.

10 MS. FRAYER: And you have to agree with me starting
11 position matters, so the UK starting position is quite
12 different from the Ontario starting position.

13 DR. KAUFMANN: Yeah. No one here is advocating 60
14 percent price cuts.

15 MS. GIRVAN: Thanks. Those are my questions.

16 MR. SOMMERVILLE: Mr. Harper. Let me just indicate it
17 is my intention to continue with this subject matter to its
18 conclusion before our break, and hopefully get to Mr.
19 Shepherd's presentation on stretch factor also before the
20 break.

21 So that's not intended to -- no, Mr. Harper seriously,
22 no, no, that's not intended to...

23 MR. HARPER: I know you're working on the fact I
24 usually speak very fast.

25 MR. SOMMERVILLE: Not at all. I'm giving you sort of
26 parameters. If it's not so much the questions that cost us
27 time. It is the answers. And we're happy to have that
28 happen. But just so that you have sort of a general sense

1 of architecture here. Ms. Girvan.

2 MS. GIRVAN: Can I ask one question. You referred to
3 final argument. Could someone just help us with what the
4 next step in this process is?

5 MR. SOMMERVILLE: Well, there are submissions planned
6 for tomorrow, that was -- that is part of this picture. So
7 that we have discussion and then we have final submissions,
8 which is part of our agenda for tomorrow. Is that catching
9 everyone by surprise?

10 MS. GIRVAN: I read it on the sheet, but I hadn't seen
11 it before and I don't know that...

12 MR. SOMMERVILLE: There is no obligation to provide
13 that.

14 MS. GIRVAN: Okay.

15 MR. SOMMERVILLE: We are gleaning from the questions,
16 tone, and body language, the general direction of the
17 submissions, but there is provision for it within our
18 agenda.

19 MS. GIRVAN: Okay. But that is the final stage of
20 this process and then the Board will make a determination.

21 MR. SOMMERVILLE: Yes, yes.

22 MS. GIRVAN: Okay, thanks.

23 MR. HARPER: Thank you. I would like to start with
24 Ms. Frayer. Actually, if I look at slide 6 of your
25 presentation, this was where you were going through the
26 development of the TFP growth for 2002 to 2007.

27 You actually had, I guess, five different scenarios
28 laid out there. During your presentation, you indicated

1 that you gave -- I wasn't too sure most weight or all of
2 the weight to scenarios 2 and scenario 5 to some extent
3 because they discounted the megawatt hour, excuse me, the
4 megawatt or demand value relative to the other two output
5 values.

6 MS. FRAYER: Hmm-hmm.

7 MR. HARPER: Is that fair? I was trying to understand
8 when I look at those two numbers, one was minus .5, the
9 other was minus 1.05. If I do a very simple average, I
10 come out somewhere around minus .75 as being the average of
11 the two.

12 If I look at your 0.58 as being the total productivity
13 factor over those 19, 20 years that you calculate, is that
14 based on an average productivity during those last 2002 to
15 2007 years of about minus .75?

16 MS. FRAYER: In effect, the midpoint between them.
17 Not the average but the median. Because what I did, I had
18 instead of averaging the numbers from the start, what I
19 presented was different potential trajectories because I
20 also was not confident, you know, about exactly what
21 happened in the missing years. So we had two different
22 conjectures on that as well.

23 MR. HARPER: The reason I was looking at it from this
24 perspective is, I was trying to in my mind, at my kitchen
25 table last night, trying to figure out, to some extent, the
26 difference between your 0.58 and Dr. Kaufmann's 0.72.

27 During that same period, 2002 to 2006, I guess Dr.
28 Kaufmann for Ontario came up with a productivity factor, it

1 was virtually zero, plus .01 if I recall. You can correct
2 me if I am wrong, Dr. Kaufmann

3 DR. KAUFMANN: That's correct.

4 MR. HARPER: Something in that order there. If you
5 were having something around minus .7, minus .8 for that
6 period and he was having zero, that in my mind would almost
7 count entirely for the difference in your average TFP
8 calculated over the entire period, even though he was using
9 US data and you were using a combination of Ontario and US
10 data. So that to some extent, the differences were really
11 resided in how we looked at the last five, five years of
12 the period as opposed to, you know, what data we chose to
13 use for the first 14 or 15 years of the period.

14 I just wanted to see whether that was a reasonable
15 characterization. Was the difference in your numbers was,
16 to a large extent, how we looked at and how we calculated
17 the last five years?

18 MS. FRAYER: There are definitely differences in
19 observed TFP growth in the previous years, but they're
20 probably not of the same significance level as the last
21 five years, because really I think the .72 was based on US
22 data and the US data is .4 percent positive TFP growth
23 between 2002 and 2006.

24 My analysis observed a negative TFP growth for Ontario
25 LDCs over that period and I am also including 2007.

26 MR. HARPER: Okay but I was trying to at a high level,
27 rather than nitpicking each individual year, trying to
28 understand what was the key difference between the two.

1 What I wanted to look at, and I just want to confirm
2 you were suggesting that you gave greater weight to
3 scenario 2 and scenario 5 because they tended to discount
4 the weight less the peak demand measure of output, at least
5 that is what I understood you to say during your
6 presentation.

7 MS. FRAYER: The way that I -- I didn't want to -- we
8 had five scenarios here. Then we had two different
9 scenarios with respect to the conjectures. That would make
10 ten different lines on that graph.

11 For purposes of conservativeness and also for clarity,
12 I felt we should limit ourselves to a narrower, what I
13 would say, set of potential ranges, and that's why I chose
14 scenario 2 and 5.

15 MR. HARPER: I took it from your presentation that one
16 of the reasons you were choosing that was you were trying
17 to address this concern about lack of weather
18 normalization, and, to some extent, if we gave less weight
19 to peak demand, that would to some extent help sort of
20 address or sort of moderate to some extent sort of the fact
21 there wasn't weather normalization going on.

22 MS. FRAYER: Well, it does moderate the fact that we
23 are putting less weight on the one measure of output that
24 is most sensitive to weather, but it doesn't necessarily --
25 my opinion is that you do want to have TFP estimates that
26 incorporate the effects of weather.

27 So I don't want to eliminate -- I don't want to
28 weather-normalize the TFP estimates. That would not have

1 been my recommendation.

2 MR. HARPER: That is where I have a fundamental
3 problem in two senses, because one is the scenario still
4 includes a fair amount of weighting on throughput. Would
5 you agree with me that megawatt hours are also weather
6 sensitive, as well as peak demand being weather sensitive?

7 MS. FRAYER: They are, but less so. I think much less
8 so than summer peak demand.

9 MR. HARPER: But they are weather sensitive?

10 MS. FRAYER: Yes. Again, my ultimate recommendation
11 for total factor productivity analysis is that I don't want
12 to weather-normalize the data. I want to be able to
13 present TFP estimates based on actual operating conditions
14 and incorporating actual weather conditions, and then be
15 able to interpret that and understand whether there's
16 trends from year to year that are driven by weather.

17 MR. HARPER: Right. But to some extent, I understood
18 you as using peak demand, your view is sort of -- if I
19 understood your materials correctly was that the best
20 choice of output would be something like carrying
21 capability of the system or something like that, and to
22 some extent we were using megawatts and throughput as
23 proxies for the carrying capability of the system.

24 I guess what I was struggling with was the carrying
25 capability of the system is, to some extent, designed
26 around probably what does the system -- what's the load
27 likely to be in sort of a really hot summer if you're --
28 summer peaking utility or a really cold winter. To some

1 extent, it has been normalized either for extremes or
2 normalized for averages.

3 So I was having real difficulty with your suggestion
4 you didn't want to weather-normalize when, in my mind, that
5 would be a fundamental criterion you would want to take
6 into account ideally.

7 Maybe you could just respond to that.

8 MS. FRAYER: Well, the utilities construct their
9 systems and the service they provide that -- the access
10 they provide to the distribution networks is based on being
11 able to operate under any -- well, almost any weather
12 conditions.

13 So the idea is to then look -- when we are looking
14 back historically, we want to be able to show whatever the
15 weather conditions were. So that is my particular
16 professional view on why I didn't want to weather-normalize
17 the data, because the weather normalization would eliminate
18 that component.

19 MR. HARPER: Okay. At least I understand your
20 perspective there.

21 Maybe -- Dr. Yatchew, you were talking to some extent
22 about -- I think, in general, talking here about how TFP
23 is, in your mind, affected by certain factors that are
24 cyclical, like business cycles, and also affected by
25 certain factors that are not cyclical, whether it be
26 pensions, regulatory, weather.

27 So there is a -- I guess the idea, what you're trying
28 to portray in your graph, is there is wide fluctuations

1 probably because of non-cyclical factors, and then there
2 are some cyclical factors going on, as well. Is that fair?

3 DR. YATCHEW: Yes. That does seem to be the case.

4 MR. HARPER: I guess one of your complaints about Dr.
5 Kaufmann's approach on the start date and end date analysis
6 was that it was only appropriate if it reflected a full
7 cycle, if I can sum it up.

8 You had to look at more than the start date, the end
9 date. You had to ensure you were encapsulating a full
10 cycle or complete cycle in the analysis. Is that a fair
11 summary of your concern?

12 DR. YATCHEW: That's part of my criticism, but not the
13 fullness of it.

14 To the extent that there are cyclical components in
15 TFP or driving TFP, like business cycles, you would want to
16 capture as much of one or more business cycles as possible.

17 But my fundamental critique was the verbal one, and
18 that says that by focussing on finding a year that is as
19 similar as possible to the most recent year, that that's
20 the wrong objective.

21 The right objective is to try to find a period of time
22 that is representative of what you think will happen in the
23 future. There are lots of other things that can go wrong
24 aside from not picking the right points on the cycle.

25 MR. HARPER: Assuming we're uncertain as to what is
26 going to happen in the future, I guess which comes to Mr.
27 Thompson's view about trying to pick a period that is long
28 enough that it is fully representative of what types of

1 things -- the reason it could have happened in the past,
2 what I was struggling with was whether or not -- I mean, at
3 a theoretical level, whether or not you - and I would like
4 Dr. Kaufmann to comment on this, as well, afterwards -
5 whether you looked at the sample period he picked, the 10
6 years and the TFPs, to confirm whether, in your mind, or
7 not, it did not capture a full cycle.

8 Like, did your -- did the problem that you we're
9 enunciating theoretically actually exist with the data
10 period that he picked or not? Did you actually do that
11 analysis?

12 I guess, Dr. Kaufmann, after having heard Dr.
13 Yatchew's concerns during the initial meetings, whether you
14 looked at your data over that period to reflect on whether
15 or not you felt it fully reflected a full and complete
16 cycle. Maybe if each of you could give me your perspective
17 on that, it would be helpful.

18 DR. YATCHEW: Let me repeat the critique is not just
19 based on the absence of capturing a full cycle.

20 MR. HARPER: I would like you to focus your response
21 on that particular issue.

22 DR. YATCHEW: If I could focus on that in particular,
23 then as Mr. Sommerville pointed out, I repeated the graph,
24 twice, in my presentation. And the second time, at slide
25 13 that same graph appears, and immediately following, the
26 slide states that:

27 "The early 1990s were a period of relatively
28 higher unemployment, which arguably should not be

1 excluded precisely because the subsequent years
2 enjoyed higher unemployment levels and are
3 therefore not likely to be representative."

4 Neither the raw US data depicted by the volatile line
5 nor the estimated trend model would suggest the data prior
6 to 1995 should be excluded.

7 If we go back to the graphic slide, 13, you can see
8 that by beginning in the mid 1990s you are omitting that
9 earlier part of that TFP trend.

10 So if you were really speaking of the possibility that
11 this is a cycle, cycle in the sense of repeating itself in
12 TFP, you are leaving out the part of the cycle that has
13 lower TFP trends, TFP patterns, on average.

14 MR. HARPER: Dr. Kaufmann, do you have any wisdom to
15 add to this?

16 DR. KAUFMANN: Let me respond first to the specific
17 point on -- I can't recall what slide that was, where you
18 were talking about unemployment. Let me respond to that
19 first, and then I will make just a few general points
20 regarding his overall critique.

21 Professor Yatchew is saying we're excluding the early
22 1990s, which was a period of high unemployment, and that
23 could be distorting the TFP results. But we're including
24 the period of early 2000, which was also a period of high
25 unemployment.

26 So there was a recession in 1988 through '91, and
27 there was a recession in very late 2000 through 2001. So
28 we're picking up a recession. So in a sense, we're picking

1 up that impact, that cyclical impact, on TFP growth. That
2 is reflected in our number.

3 If we want to have a full cycle, then -- if that's the
4 argument, then it would really make sense to pick that up
5 only once. You don't want to pick that up twice, because
6 then you are not -- it's kind of like when you are talking
7 measuring business cycles. You want to measure from peak
8 to peak or trough to trough. That's what we're going to
9 do. We only want to pick up one trough. We don't want to
10 pick up two.

11 So that's -- in a general sense, I believe our numbers
12 do reflect -- or for that specific point, our numbers do
13 reflect that.

14 On his more general point, Professor Yatchew has said
15 he believes there are recent patterns in the data, and he
16 also said that there are persistent economic and other
17 effects that are driving the data.

18 And if we can go back to the famous slide that shows
19 the volatility in the trend through it, I don't believe
20 this slide demonstrates that. All we have here is one
21 cycle. We have a lot of volatility and we have some
22 smoothing through that cycle.

23 For us to have confidence that this is -- that this
24 really does reflect the underlying behaviour in the
25 industry, we would need to know that that cycle is repeated
26 multiple times in the past, and that's why I brought up the
27 stock market analogy.

28 There is lots of stock market data. There is lots of

1 volatility. There is an upward trend, and you could
2 probably smooth that data in various ways to come up with
3 cycles. But that's the sort of information we would need
4 to know that we really have confidence the cycle even
5 exists.

6 The second point is persistent economic and other
7 effects. We don't know, one, what those affects are, and
8 we don't know whether they will persist. So for this to be
9 a viable critique, in my opinion, for whether or not we're
10 missing something systematic, you need to know what those
11 effects are and you need to know that they're going to
12 continue.

13 That kind of gets to the more -- kind of the bottom-
14 line concern is that we need to pick a period that reflects
15 the future. Obviously none of us know what the future is
16 going to be, and if we could predict, if we knew everything
17 that was driving TFP and we knew exactly what the future
18 was going to hold, then there would be no need to even look
19 to history, but we don't know that. We don't know what the
20 future is going to be, and in -- my position has been even
21 given this analysis, my position continues to be the best
22 estimate of what's going to happen in the future is to look
23 to the long-term trend, which is to make sure that that
24 long-term trend is not distorted by what you can identify
25 as being transitory impacts that could distort that slope.

26 If we try to go beyond that, we're really -- we just
27 don't have enough information to try to understand whether
28 or not a cycle exists, what is driving the cycle, and

1 whether that cycle is going to persist.

2 MR. HARPER: You don't have to put your hand up.

3 MR. SOMMERVILLE: Dr. Yatchew, briefly.

4 DR. YATCHEW: I have reviewed the statistics
5 literature. I will try to be...

6 I have reviewed the statistics literature. I have
7 found no basis for the application of this technique, the
8 start date analysis that is being put forth anywhere in
9 that literature.

10 Dr. Kaufmann has referred to the finance literature.
11 The finance literature is an even -- much more complicated
12 area to try to draw lessons for trying to forecast
13 productivity analysis. There are profound differences
14 between trying to forecast asset prices and trying to
15 forecast productivity levels.

16 I will just mention one fundamental paper in that
17 literature. The efficiency market hypothesis essentially
18 puts our analysis on a completely different track from
19 their type of analysis. Nevertheless, I did go to the
20 finance literature as well. I found no, no academic basis,
21 no sort of peer-reviewed basis for using this kind of
22 technique for determining start dates. The basis upon
23 which I am relying upon is the time tested law of large
24 numbers, if you will. Give me more data that more or less
25 look the same, I will give you a better estimate.

26 I think that is a far more reliable place to start,
27 from the point of view of the Board, in determining long-
28 term productivity rates than to rely upon an untested,

1 unproven technique which actually has prima facie defects
2 that I stated again and again.

3 DR. KAUFMANN: I know we're running long on time but
4 can I respond very briefly.

5 This is a pragmatic technique. We did not look
6 towards the academic literature and you can always, I
7 suppose, criticize something on the fact there is not
8 enough academic literature.

9 But the claim that this is untested/unproven is not
10 true. We used this in other jurisdictions. It has not
11 been disputed, it has been accepted. It was just accepted
12 in May.

13 So there have been people in the industry who have
14 been looking at those numbers and trying to understand
15 whether or not, not from a theoretical or academic points
16 of view whether there was support for it, but whether it
17 seemed to be a pragmatic and reasonable model that
18 reflected temporary impacts on TFP and their determination
19 was that it was.

20 MR. SOMMERVILLE: Thank you.

21 MR. HARPER: Actually, the final area I wanted to ask
22 about is, comes again to yourself, Dr. Yatchew. Anyone can
23 kick in if they want to was this idea -- Mr. Thompson
24 presented it to you -- was the idea of weighting the most
25 recent years with the view that that is going to give us
26 some reflection of what -- the most recent past is somewhat
27 more reflective of what is going to happen in the immediate
28 future.

1 During the course of the conversation here there has
2 been reference to the immediate future, the fact there is a
3 three-year plan. What is of concern to me -- this is a
4 three-year plan being implemented over a three-year period.
5 We have at least a third of the utilities in the province
6 that won't start the plan until 2011 and then it will run
7 for three years after that.

8 So that, you know, I am not too sure where the
9 business cycle -- I'd be buying stocks if I knew where the
10 business cycle was going to be in 2011 when this thing
11 started. So I really question and like you comment on the
12 fact this is not really a three-year plan for everybody but
13 actually stretched out over more like six years of when we
14 think it when it finally ends or something, whether that
15 does anything to sort of, our need to sort of more heavily
16 weight sort of the most recent past. If we are in a
17 recession we could be out of one in two years from now. If
18 we aren't in a recession, now we could be in one two years
19 from now. I don't know. I'd like your comment on that.

20 DR. YATCHEW: That may develop well be argument to
21 revisit these numbers or revise these numbers as each
22 cohort comes in and there is an additional year of data to
23 continue that curve. We may have turned the corner by
24 then. Maybe the five-year average will be better than zero
25 percent productivity.

26 MR. HARPER: So your recommendation to address that
27 would be to establish a different set of three-year
28 productivity factors for each of the three cohorts?

1 DR. YATCHEW: That may very well be an option that the
2 Board may want to consider.

3 MR. HARPER: Okay. But if the Board wanted to stick
4 with one set of productivity factors for -- we're having a
5 hard enough time coming up with one for the first three
6 years -- one sort of productivity factors for all 87
7 utilities. Could you comment on whether we should be
8 maybe, within that context, focussing more on sort of the
9 longer term numbers as opposed to sort of giving a lot of
10 weight, given one-third weight to the short-term numbers.

11 DR. YATCHEW: These weights are judgmental and a
12 longer time frame over which you want to forecast
13 productivity growth, the less weight you want to put on the
14 most recent past and the more weight you want to put on the
15 long-term path. As we said earlier, in an extreme case if
16 you were putting a 20 year or 10-year forecast out, use the
17 long-term number.

18 MR. HARPER: Okay. Thank you. Those are all of my
19 questions.

20 MR. SOMMERVILLE: Thank you, Mr. Harper. Mr. Aiken.

21 MR. AIKEN: Thank you. Randy Aiken on behalf of
22 the London Property Management Association. I will try to
23 be quick and efficient.

24 My first question is for you, Larry. I think you
25 mentioned yesterday that the TFP estimates that Dr. Cronin
26 did in the '88 through '97 period, used only one output
27 variable and that was customers. Is that correct?

28 DR. KAUFMANN: That is correct.

1 MR. AIKEN: Okay. Then turning to you, Julia. On
2 your slide 6, the bill was referring to where you did the
3 five scenarios what would be your TFP estimate over the
4 2002-2007 period if you only used customers as an output
5 variable to make it consistent with what Dr. Cronin did in
6 the previous period? Do you have an idea of what that
7 number would be?

8 MS. FRAYER: Generally speaking, the TFPs would all be
9 more negative, because by customer number grows the fastest
10 of the three output measures.

11 So if we put 100 percent on that and remove the
12 others, we will have output growing even faster than
13 inputs. Output quantities --

14 MR. AIKEN: So the TFP would be less negative?

15 MS. FRAYER: No, no. Even more negative. Because
16 outputs would be growing -- sorry. Sorry. Less negative.

17 MR. AIKEN: Yes.

18 MS. FRAYER: The one thing I wanted to bring into,
19 bring up a little bit. I think Dr. Cronin filed a
20 submission in May, after the last hearing, where he talks
21 to this issue about the sensitivity of his results from
22 first generation IRM to the one variable analysis. And if
23 you bear with me, I can -- I want to find it so I don't
24 misquote him. It may take me a few minutes. Oh, let's
25 see.

26 MR. SOMMERVILLE: If you wanted to find that over the
27 break, Ms. Frayer, we could do that and you could just do
28 that almost, by analogy, by way of undertaking. That would

1 be easier.

2 MS. FRAYER: Yes, that's fine. But I think that's
3 also to keep in mind that I think his conclusion was that
4 it was not substantially impacting his -- well, let me get
5 the data and respond to that later.

6 MR. AIKEN: Okay. The next question is for anybody to
7 answer. What's the difference between total factor
8 productivity and multi-factor productivity?

9 Is there a difference?

10 DR. KAUFMANN: No. The two terms mean the same thing.

11 MR. SOMMERVILLE: We have agreement on that, Mr.
12 Aiken.

13 MR. AIKEN: I have achieved something here today.

14 MR. SOMMERVILLE: You should get a bonus for that.

15 MR. AIKEN: I will tell my client that.

16 I guess my final set of questions or final question
17 is: I am sure you are aware that Stats Canada publishes
18 multi-facet numbers for utilities. My question for each of
19 you is: Why don't we use those numbers?

20 They actually have published data back to 1961 on
21 productivity numbers for utilities.

22 DR. KAUFMANN: How are they defining utilities?

23 MR. AIKEN: They do it two different ways. The first
24 one is electric distributors, transmitters, generators,
25 natural gas, water and sewer as total utilities.

26 DR. KAUFMANN: Yes.

27 MR. AIKEN: And then they have two different indexes
28 which are more precise, and they are electric distributors,

1 generators and transmitters.

2 DR. KAUFMANN: Yes. I mean, my answer is that what we
3 need is the TFP trend for electricity distribution. We
4 don't want to have transmission and generation. Those are
5 very different industries, particularly generation, very
6 different TFP trends. If we use that number, I am sure it
7 would be much higher.

8 The TFP growth in generation has been much greater
9 than in the network.

10 MR. AIKEN: Would you be surprised that all three of
11 the indexes average -- from 1961 through to their last year
12 that they have, are all around 1 percent?

13 DR. KAUFMANN: I am not terribly surprised, no.

14 MR. AIKEN: Would it be -- this goes to Adonis's
15 premise that the more data we have, the better. If we've
16 got 40 years of data, and we know the investment cycle for
17 our utilities are around that same length of time, does the
18 fact that we now have an investment cycle of productivity
19 numbers mean more than the fact that we're contaminating
20 the data with transmission and/or generation?

21 In other words, is there a trade-off there that we
22 could use?

23 DR. YATCHEW: Unpacking that would be a horrendous
24 exercise.

25 MR. SOMMERVILLE: Sorry?

26 DR. YATCHEW: Unpacking those components and deriving
27 the distribution-only segment would be a horrendous
28 exercise.

1 MR. AIKEN: I am not suggesting that exercise. I am
2 suggesting that we use the Stats Canada data, which is
3 distribution, transmission and generation, which has, as
4 Dr. Kaufmann has pointed out, this contamination, but
5 offsetting that we have 40-plus years of data, of
6 independent data. And it's Canadian data, not US data.

7 Is there any reason why the Board shouldn't consider
8 using that information?

9 MS. FRAYER: I would underscore my concern that it is
10 based on portions of the utility sector that are vastly
11 different, completely different production-wise, completely
12 different drivers of input and output trends.

13 So I would actually think that it's -- it would be a
14 non-starter for me in that respect, but I don't think it
15 would be relevant outside of maybe just a very distant
16 benchmark, just like we may use somehow TFP growth in the
17 gas distribution sector to somehow have a single point of
18 comparison for the electricity distribution sector. It is
19 a very different industry.

20 If we had nothing else, maybe we would be forced to
21 use it, but we do have better solutions in play.

22 DR. KAUFMANN: Julie, there has been some discussion
23 earlier about main sources of data versus supplementary
24 data. I think certainly you would never want to use
25 something like that as a main source of data, but as a
26 source of supplementary data and the fact you have 40 years
27 and you're picking up, as you say, something like a forward
28 replacement cycle, I do think that is a relevant point and

1 that is another issue, in terms of kind of the long-run TFP
2 trend, in making sure we have that right.

3 That is one of the key drivers for the utility
4 industry is the replacement cycle. You want to get that
5 right. You could have a good sense that you are going to
6 get that more or less right, even in short samples, if you
7 have good capital additions data, which is why we always
8 emphasize the importance of that.

9 But I do think the fact that you have 40 years' worth
10 of data is relevant, which is I think the point you're
11 making, because you are picking up the full replacement
12 cycle.

13 But, still, I would never rely on an industry that
14 includes far more than the industry that we're regulating
15 as the basis for the TFP trend.

16 MR. AIKEN: Then just to follow up. Julie, I think
17 yesterday somebody asked you about the Stats Canada index
18 you used for wages. Is that utility wages?

19 MS. FRAYER: Utility wages.

20 MR. AIKEN: How was utility defined in that case?

21 MS. FRAYER: I think in that case it was defined very
22 similar to the definition you have for the TFP. So it
23 incorporates a variety of different utilities.

24 MR. AIKEN: Including gas and water?

25 MS. FRAYER: Yes.

26 MR. AIKEN: Okay. Thank you. Those are my questions.

27 MR. SOMMERVILLE: Thank you.

28 MS. FRAYER: I did want to comment really quickly

1 back. I found the page reference. It is page 4 of Dr.
2 Cronin's submission in the response to the May workshop. I
3 believe it is May 20th, 2008.

4 He notes that if he was to have re-done his analysis
5 and incorporate kilowatt-hour sales, which is consistent
6 with my analysis, his TFP estimates for the 1988 through
7 1997 period would have been lower.

8 So by incorporating the TFP estimates based on his
9 original output specification, I have been conservative,
10 because I would have had presented an even lower 20-year
11 average.

12 MR. SOMMERVILLE: Thank you. Ms. Frank.

13 MS. FRANK: Thank you. I have only one area I
14 want to question, and I was hopeful it was going to be
15 covered by Mr. Thompson. He almost got there, and Mr.
16 Harper, but they didn't quite get there.

17 It relates to the stability of the productivity value.
18 We haven't really talked much about the end period. We had
19 a little bit of difference 2007 versus 2006. We talked a
20 lot about start value in that.

21 What I want to explore is: Does the end value have an
22 impact? And, Dr. Kaufmann, if I start with you, you
23 indicated that you had 2007 data available, but you didn't
24 use it to come up with your calculation of total factor
25 productivity. If you had, how would that change your
26 number?

27 DR. KAUFMANN: We didn't have 2007 data available.

28 MS. FRANK: So you didn't -- you used it for stretch,

1 but you didn't have it available for the calculation of
2 total -- it's not available?

3 DR. KAUFMANN: It's not available, that's right. The
4 2007 data became available in June 2008. We made our
5 recommendations on the productivity factor in February
6 2008. So --

7 MS. FRANK: You haven't updated?

8 DR. KAUFMANN: No.

9 MS. FRANK: But you could?

10 DR. KAUFMANN: We could.

11 MS. FRANK: Could you guess? What would it do?

12 DR. KAUFMANN: I wouldn't want to guess.

13 MS. FRANK: Let me take another tack. If you went
14 back and picked 2004 - it doesn't really matter, any year -
15 and did your analysis again, how stable would your output
16 be with your 0.88? How consistent is it over time?

17 DR. KAUFMANN: Well, I am sure -- I'm not sure what
18 you mean by "it".

19 MS. FRANK: Total factor productivity.

20 DR. KAUFMANN: Well, again, it depends. If you're
21 talking about 2004, then you are talking about -- you are
22 moving one date back, so you have to move the other date
23 back.

24 MS. FRANK: Please do.

25 DR. KAUFMANN: But that depends on how far you move it
26 back. You know, again, that is -- that gets into the start
27 date issue.

28 We want to pick a period that is not distorted by

1 transitory impacts. If you start moving that date back,
2 you don't know. You don't know the impact of whether those
3 transitory effects are going to have more of an impact than
4 others.

5 But let me mention something that I think does provide
6 some evidence that touches on your point of stability. We
7 have done some work, the sort of regressions that Professor
8 Yatchew has talked about, where we regress TFP growth on
9 time trends and -- different aspects of time trends, simple
10 formulations, things like time and time squared, for
11 example.

12 We also used the sine function, just for fun, just to
13 see what would happen.

14 And what we found -- and then we used those parameter
15 estimates to generate TFP predictions. What we found on
16 the model that uses time - that regresses TFP on time and
17 TFP on time and time squared - is a TFP prediction going
18 forward of 0.8.

19 So, again, this is picking up both a linear trend and
20 a non-linear trend. If we use the sine function, what we
21 get is a much -- so in other words, if we have that sine
22 wave going through the data, and that is really the
23 underlying pattern, we get much lower predictive power on
24 that coefficient related to the sine of the time, if I can
25 use that term, but the sine of the time variable.

26 And you get a lower TFP prediction and you get a much
27 bigger prediction error. So, in other words, if you
28 compare actual outcomes in any given year with the

1 prediction, what you're getting is -- the prediction, you
2 get very big prediction errors under that.

3 So I think that does provide some evidence that the
4 0.88 number is stable, in the sense that it's consistent
5 with econometric estimates of what are kind of the trend
6 variables and what's running through the data on a trend
7 basis.

8 MS. FRANK: So that is actually where -- you know
9 where I am going. I'm wondering why we're staying with a
10 time period that's going to be quite dated by the time
11 we're in -- at the end of the 3rd generation and why -- if
12 this is truly just a mathematical exercise, why it couldn't
13 be run every year for all parties. Then it would be truly
14 current, and we just use the same methodology.

15 I am not at all saying that we change the methodology.
16 I am just asking: Why wouldn't you look at it every year,
17 take a check, is it materially different, and modify it?
18 Just comment. Actually I wouldn't mind all three
19 commenting.

20 DR. KAUFMANN: So updating, well, remember we're
21 relying on the US data. Because the US data is, that's a
22 continuous data series and I believe that is critical. So
23 we would have to update not just the Ontario data but the
24 US data as well. It can be done. I don't know whether it
25 can be done right now but it is likely that we could do it.

26 MS. FRANK: Could you do it every year is what I am asking?

27 DR. KAUFMANN: Yes, we could. It's not a trivial
28 exercise, but it could be done.

1 MS. FRANK: What do you mean by its not a trivial
2 exercise?

3 DR. KAUFMANN: It costs money to update the TFP
4 trends. It takes time and it takes money to do it well.

5 MS. FRANK: It would depend on how much it would vary, Dr.
6 Kaufmann, it could be money well spent.

7 DR. KAUFMANN: That's not my decision. I believe -- I
8 of course believe it would be money well spent.

9 [Laughter]

10 MR. SOMMERVILLE: On both sides of the transaction, as
11 it were.

12 DR. YATCHEW: All-improving.

13 DR. KAUFMANN: It's not the sort thing you could just
14 say: Update the 2007 TFP and tell me what the number is
15 going to be tomorrow. I mean, it takes a while.

16 MS. HARE: If I could interject on the question,
17 though.

18 On the question that you asked, Susan, about why
19 couldn't it be done every year, I just take you to the
20 Board's report on page 19, where the report of the Board
21 clearly states that the same productivity factor will be
22 set at the start of 3rd generation and will remain fixed
23 through the term of the plan.

24 So you might have been asking hypothetically: Could
25 it be done. I just wanted to point out that the Board's
26 already decided that, whatever the number is that comes out
27 of this consultation, it will be the same number throughout
28 3rd generation.

1 MS. FRANK: I was raising this because of the
2 suggestions of Mr. Harper saying could it not change for
3 each of the cohorts over the period and my feeling was,
4 well, if that was a possibility, then why wouldn't you just
5 change it for everybody each year?

6 It was because of the kind of conversations of start
7 date being so critical, then it seems to me end date must
8 also be critical. So is there something that we're
9 learning that might give us pause, was my concern. Other
10 people worth updating? Not worth updating?

11 MS. FRAYER: Well, one thing I have to say is that I
12 do think that once data becomes available, prior to
13 decision being made, you do want to update it.

14 So, you know, I kind of -- this is going back to why
15 we start of squeezed in and presented 2007 numbers within a
16 period of about a month of the new data being released
17 because we thought it was important to reflect the latest
18 available information. It's kind of going back to that
19 idea that I had suggested about being inclusive,
20 incorporating the most robust set of data that you have
21 available.

22 DR. YATCHEW: I was just going to comments on your
23 earlier revelation that Dr. Kaufmann had done some
24 additional modelling of these TFP patterns, including
25 linear and quadratic terms and even trigonometric terms
26 and that the linear and quadratic worked better than the
27 trigonometric. I just wanted to mention that the model
28 that I used is -- embodies all of these special cases.

1 This is not a trigonometric model. This is, lies in a
2 class of flexible estimators called non-parametric
3 estimators so it should actually be better at predicting
4 certainly fitting the data than any of these because it can
5 choose from them.

6 MR. SOMMERVILLE: Thank you. Ms. Frank, is that it?

7 MS. FRANK: That didn't answer my question.

8 DR. YATCHEW: I didn't intend to.

9 MS. FRANK: You're not going to? You don't want to
10 answer that question?

11 DR. YATCHEW: You mean on the preference for updating
12 it on a regular basis?

13 MS. FRANK: Yes.

14 DR. YATCHEW: If the Board has decided, and it's
15 that's its prerogative.

16 MR. SOMMERVILLE: Perhaps I can back up the question a
17 bit, and, again, I liked your previous question better,
18 which was: As we consider the end period, not the start
19 period but the end period and I think this is really the
20 heart of your concern, Ms. Frank, is the idea that should
21 we be emphasizing the most recent data as opposed to the
22 alternatives?

23 Could you answer that question?

24 DR. YATCHEW: Should we be emphasizing the most recent
25 data as opposed to...

26 MR. SOMMERVILLE: As opposed to, should we be
27 weighting the most recent experience, the most recent data
28 to give it more importance in the establishment of the

1 number, than simply looking at the breadth of the data that
2 we have?

3 DR. YATCHEW: Than simply looking at the long-term
4 average?

5 MR. SOMMERVILLE: Something along the lines Mr.
6 Thompson was getting at, at one point. Should we be
7 weighting this most recent experience more heavily?

8 DR. YATCHEW: And I think that, if I have understood
9 the question properly, I think that that has been the
10 cornerstone of what I have been suggesting. You look at
11 the long term. You look at what has happened recently.
12 Look at the window and give some additional weight to
13 what's been happening more recently.

14 MR. SOMMERVILLE: I think, Ms. Frayer, you made that
15 emphasis to some extent, too?

16 MS. FRAYER: Yes. And the fact that you need to
17 recognize what's happening and what has happened in Ontario
18 recently and the fact that at least I believe that the
19 turnaround isn't going to happen overnight.

20 MR. SOMMERVILLE: I think Dr. Kaufmann, if I can
21 characterize your point of view, it is that while the
22 recent data may be interesting, what is most important is
23 methodologically, looking at a meaningful span of
24 information that is corrected to eliminate anomalous
25 circumstances that might skew the overall picture?

26 DR. KAUFMANN: That's right. And I believe that, as I
27 mentioned yesterday, I think focussing on any four-year
28 period can give you an anomalous picture of what's going to

1 happen in the future. If you put more emphasis on it, then
2 it may not be a good predictor and I think it will need to
3 more volatility if that is the methodology going forward.

4 MR. SOMMERVILLE: Does that answer your question, Ms.
5 Frank?

6 MS. FRANK: It does.

7 MR. VLAHOS: My curiosity from Ms. Frank's question is
8 this: Is the suggestion that by adding 1997 to the data
9 set, does that, in any way, have same or less or more
10 importance than picking 1995 as the base year?

11 Ms. Frank, that is what I took from where you were
12 going with it.

13 MS. FRANK: Right.

14 MR. VLAHOS: I don't think anybody answered that.

15 MS. FRANK: No, they didn't.

16 MR. VLAHOS: In fact, one could answer that
17 theoretically without looking at the data itself, data
18 point itself.

19 So your concern is that, adding 1997, could that be as
20 significant as having a different choice year as a starting
21 point?

22 MS. FRANK: Exactly, that was my concern.

23 MR. COWAN: Mr. Vlahos, did you mean 2007?

24 MR. VLAHOS: Yes. What did I say?

25 MR. COWAN: 1997.

26 MR. VLAHOS: I'm still back then, yes.

27 So, if that was the intent of your question --

28 MS. FRANK: Right.

1 MR. VLAHOS: -- I don't know what the answer is.

2 MR. SOMMERVILLE: I took Mr. -- pardon me, Dr.
3 Kaufmann's answer to be that would require him to
4 restructure his assessment, because he would have to look
5 for a year that was analogous to 2007 as to its, the
6 employment, unemployment numbers, the cooling days, the
7 heating days.

8 He would look for the same kind of comparator as he
9 did for his 2006 assessment, which would not necessarily
10 take him in a linear fashion back to 1996 in that case.

11 DR. KAUFMANN: That's correct.

12 MR. SOMMERVILLE: Have I got that right?

13 DR. KAUFMANN: Yes, that's right.

14 MR. VLAHOS: It is not just a question of adding one
15 more additional data point to the -- it's a new search?
16 It's a new search to find the equivalent or...

17 DR. KAUFMANN: That's correct.

18 MR. SOMMERVILLE: I think Board Staff -- and I really
19 appreciate the indulgence of the court reporter who is
20 bearing with us as we carry on what is a marathon program
21 this morning, but we would like to conclude this portion
22 and hear Mr. Shepherd's first presentation in the next
23 segment. So with that in mind, Ms. Brickenden.

24 MS. BRICKENDEN: May I, just one summary question.
25 Adonis, I don't like to put you on the hot seat. However, I
26 noticed throughout this consultation, prior to even today,
27 you have made observations on interpreting the trends
28 appropriately, as we discussed this morning, whereas Julia

1 and Larry and I think Frank have put forth alternative
2 methods of calculating or deriving TFP, doing the analysis
3 whereas you haven't expressed strong opinions on the
4 different approaches that have been used.

5 Do you have anything you could share with us, your
6 view, on not interpreting the trend, but do you have a
7 particular view on the methodologies that have been put
8 forward?

9 DR. YATCHEW: In order for me to express a strong
10 opinion on the methodologies that have been put forth, I
11 would have to actually do it myself, and I have not done
12 that and, therefore, I have reserved judgment.

13 Let me say that I am not surprised by some of the
14 results, more recent results, that indicate these negative
15 TFP growth rates in the very recent past.

16 My objective has been to accept, with all of its
17 warts, the US data to try to simplify the task before the
18 regulator, not to be over critical of the data themselves,
19 but, let's say, going from here, a uniform data set. How
20 can we best interpret and use these results for purposes of
21 informing the productivity factor?

22 I have not focussed on differences in these approaches
23 and the various ways of measuring capital. That is
24 actually quite an extensive exercise.

25 MS. BRICKENDEN: Thank you.

26 DR. YATCHEW: But I feel generally comfortable with
27 the numbers that we're looking at.

28 MR. SOMMERVILLE: Mr. Cowan, you have one brief

1 clarification question?

2 MR. COWAN: Thank you, yes, and it is for Ms. Frayer
3 with regard to the slide 10 and her material, and the
4 reference to the significance of a 30 basis point
5 difference between the two methods.

6 In particular, I just wanted to see if you would agree
7 with me that while you have characterized the effect as
8 being 25 percent of net income, that you really ought to
9 discount that effect for the taxes that would be taken off,
10 thereby reducing the effect to something less than 20
11 percent. And the only reason I am interested in your
12 agreement with that is that it just changes the degree of
13 significance that appeared to come from your conclusion.

14 I wondered if you would agree it should be reduced by
15 something like that?

16 MS. FRAYER: I agree that this was a very simplistic
17 analysis. So I haven't -- what I was looking at is the
18 revenues and comparing it to net income. So you do need to
19 take into account the taxes, the interest yield or
20 depreciation, but --

21 MR. COWAN: Not to worry on those. Thank you. That
22 was my only question.

23 MR. SOMMERVILLE: Thank you, Mr. Cowan. That's
24 helpful. We will close this portion, subject to final
25 submissions. Anybody who wants to make them tomorrow, they
26 are welcome to do that, but not obliged to do so.

27 Mr. Shepherd, you are up on stretch factor. Can you
28 proceed?

1 **STRETCH FACTOR**

2 **SCHOOL ENERGY COALITION**

3 **PRESENTATION BY MR. SHEPHERD:**

4 MR. SHEPHERD: I only have four slides. I thank you
5 for your indulgence, so that I can, at lunch time, go find
6 some chicken soup.

7 MR. SOMMERVILLE: And you better get a lot of it.

8 MR. SHEPHERD: On the stretch factor, I want to talk
9 about, a little bit about the principles, and then make a
10 suggestion about how you get to the right numbers.

11 On the principles, I think Dr. Kaufmann has raised the
12 first issue, which is: If there is no ESM, then how are
13 the ratepayers going to get a benefit out of this?

14 Well, the classic way that they get a benefit out of
15 IRM is through a rebasing benefit. That's the -- the
16 theory is that the utilities become more productive, and
17 then, on rebasing, that flows to the ratepayers forever
18 thereafter.

19 We haven't seen that yet in Ontario in the electricity
20 distribution industry. In fact, the process of rebasing
21 has been a process of getting a good deal more than you
22 would otherwise have gotten under IRM.

23 We have actually made some comments about that in our
24 previous submissions, which I am sure the Board has taken
25 into account.

26 So that really leaves the stretch factor as the only
27 way the ratepayers get a benefit in all of this.

28 So then the question is: What are the ways that you

1 could make a rational decision about what the right stretch
2 factor should be? We see there is only three
3 possibilities. One is you could go back and empirically
4 estimate the effect of being an IRM on productivity.

5 You could look back in the past and you could say,
6 Well, let's take a 3rd generation IRM as our standard. We
7 will go look for a bunch of them, because there are some,
8 and then assess, Well what has actually happened? What are
9 the results?

10 We don't have that data. The limited data we have is
11 anecdotal, and Dr. Kaufmann's commented on it, that those
12 numbers are big. They're not 0.25 percent. They're way
13 bigger than that. Sometimes they're 5 percent in some
14 examples.

15 So I am not sure that -- (a) we don't have the data,
16 and (b) if we did have the data, I don't think the
17 utilities would be really happy with it.

18 So there are two other ways that you could look at it.
19 One is the way that number of people have considered it,
20 and that is regulatory precedent.

21 What have other people used? Dr. Kaufmann has given
22 evidence that a typical level of stretch factor is 0.5
23 percent. And that's -- I believe that you have said that's
24 a standard, sort of average level that you have seen in
25 many jurisdictions all over the place.

26 We see the Board's historical numbers, which have
27 ranged from 0.25 to 0.5 percent. And so that certainly
28 gives some indication that somewhere in the 0.25 to 0.5

1 percent range is what other people think is good.

2 But we also have evidence -- and I don't know whether
3 it is Dr. Kaufmann that said this or whether it was his
4 partner in the context of benchmarking, but somebody said,
5 at some point in the past, all of those numbers have been
6 numbers essentially picked out of the air. Other
7 regulators have said, You know what, 0.5 looks like a good
8 number. Let's use that.

9 And there isn't a lot of experience in getting a more
10 rigorous stretch factor.

11 So that led to us saying, Well, is there a third way
12 that we can assess what the right number would be?

13 Well, what we concluded is that the right number has
14 to be meaningful. It has to matter to the utilities. And
15 the Board has already made a decision in this process about
16 how big a number matters to the utilities. The answer is
17 50 basis points. A 0.5 difference in revenues or expenses
18 is -- the Board has already decided is sufficient for Z
19 factor treatment.

20 That materiality test is essentially the same thing as
21 you are doing with the stretch factor; that is, you are
22 deciding how much matters to the utility. If half of
23 1 percent is what matters enough to fix their underlying
24 revenue requirement, then half of 1 percent is also what
25 matters enough to incent their behaviour. That just
26 follows logic.

27 So what we have concluded is that the right number -
28 that is, the difference between the midpoint and either the

1 bottom point or the top point - is 0.5 percent. If you
2 have a half-percent difference between the big group in the
3 middle and the under-achievers and over-achievers, that
4 half a percent is, the Board has already determined, a
5 material enough number to affect utility behaviour.

6 So as a result of that, we have reached the conclusion
7 that the numbers should be zero percent for group I,
8 because the Board has already decided it's not going to go
9 below zero percent; 0.5 percent for group II; and 1 percent
10 for group III.

11 The fact that that happens to coincide very nicely
12 with the regulatory precedent is serendipitous, but what
13 we're basing it on is the Board's own determination that
14 unless you get to a half of 1 percent, it doesn't matter
15 enough to the utilities to affect their behaviour.

16 That's all we have to say on this.

17 Do you have any questions?

18 MR. SOMMERVILLE: Thank you, Mr. Shepherd. That is
19 helpful.

20 We will take our break now. We will resume at one
21 o'clock. It is our hope to try to get through the stretch
22 factor material and part of the capital threshold material
23 this afternoon, and we will try to encourage that as we go
24 forward.

25 So we will resume at 1 o'clock. Thank you very much.

26 --- Luncheon recess taken at 11:50 a.m.

27 --- On resuming at 1:00 p.m.

28 MR. SOMMERVILLE: Please be seated. Thank you.

1 Thanks. We will start this afternoon's session with
2 the next subject matter, which is the stretch factor, and
3 there is a batting order that has been stipulated for this,
4 and Ms. Frayer, you're up.

5 **COALITION OF LARGE DISTRIBUTORS & HYDRO ONE NETWORKS**
6 **INC.**

7 **PRESENTATION BY MS. FRAYER:**

8 MS. FRAYER: Thank you. It is on. Thank you. I
9 would like to first begin by supporting, by stating my
10 support in agreement with what I read to be the Board's
11 objectives in setting the X factor, which is - sorry,
12 setting the stretch factor, a little bit of a Freudian slip
13 - setting the stretch factor to recognize from -- and
14 reward distributors, an effective way to distinguish
15 between what I would consider the laggards and leaders.

16 So I agree that there is a diversity of efficiency
17 levels present in the Ontario electricity distribution
18 sector. Not all of the utilities can be characterized as
19 inefficient and of course not all of the utilities can be
20 characterized as efficient. So what are the implications
21 of that?

22 Well, I think it is important to note that the
23 starting levels or relative efficiency levels are very
24 important and they're important not only for classifying
25 firms into those general buckets of who's kind of average,
26 who is a good performer, who is a weak performing, but
27 they're also important for informing us about the level of
28 the stretch factors which are effectively a growth rate but

1 the level of the stretch factors that we would like to
2 apply.

3 The reasoning is that, in effect, the good performers,
4 the superior performers, which would be in this very
5 illustrative bell curve that we have here on the slide,
6 which would be located to the right end of the bell curve,
7 those superior performers would have had a factor
8 productivity growth historically, would have had cut costs
9 and, therefore, at this juncture or point of time, would
10 generally be considered to be lean and on that basis, they
11 probably would have less opportunities, as compared to
12 their peers to make future cost cuts. So we would expect
13 that their overall growth in productivity would slow down.

14 Nevertheless, they would still be delivering -- it's
15 not to say they would become less efficient or inefficient.
16 They would simply be growing at a slower pace, in terms of
17 their productivity.

18 It is good for us to reward them for their previous
19 efforts to become more efficient, because, in effect, that
20 reward is quite consistent with competitive market
21 dynamics, a reward means higher profits and higher profits,
22 in effect, instils the competitive drive to succeed. And
23 that reward would come with a generally lower overall X
24 factor.

25 In contrast, there are also utilities that are all the
26 way to the left side, the poor performers. Those poor
27 performers effectively have the opportunity, going forward,
28 to grow at a much faster pace, in terms of their

1 productivity, because they haven't had to make substantial
2 cost cuts yet. There is low-hanging fruit for them to make
3 future cost cuts.

4 So the starting positions inform us of the
5 productivity growth we want to see, the stretch factors we
6 want to see, because we want to have those poor performers,
7 those laggards catch up to the rest of the industry and in
8 effect that pace of catch-up is the stretch factor level
9 that the Board asking us to discuss.

10 In the Board report there was a reference made to a
11 bell curve and that's why I have reinserted my original
12 graphic which I originally presented back in March with the
13 bell curve because I wanted to emphasize there is a little
14 bit of consistency in thinking about that. The bell curve
15 shows the distribution of performers and the relative
16 efficiencies.

17 The difference, I think, between the Board's position
18 and my original conceptual discussion of stretch factors is
19 that in conventional statistics, the bell curve is centered
20 around the average, the mean, and since the productivity
21 target we were recommending is based on an industry average
22 historical TFP growth, I had originally recommended stretch
23 factors that would have been positive for the poor
24 performers, so that we motivate them to catch up, we add
25 additional productivity targets to their overall price cap.
26 And then I had suggested negative stretch factors to the
27 superior performers to recognize that they have maintained
28 a high pace of growth historically that they can't maintain

1 going forward.

2 But I understand that the Board would like to have
3 non-negative stretch factors, and so let's return to the
4 problem here that the Board has put out for us to comment
5 on and solve. Let's return to the idea that I had
6 suggested before, in that you need to be able to look at
7 relative efficiencies in order to be able to set stretch
8 factors, to take into account the starting positions of
9 utilities and the level of catch-up you want those
10 utilities to achieve so that they perform better.

11 Unfortunately, the relative efficiency analysis we
12 currently have in front of us, the benchmarking analysis
13 that was done in a separate consultation, is not complete.
14 We don't know on a total cost basis how utilities fare
15 against each other. So we don't have confidence in what
16 levels of catch up we want to see, what levels of rewards
17 we want to give, to set the stretch factors.

18 In effect, the reason I'm talking about this just in
19 passing is the relative efficiency effectively ignores a
20 big component of productivity. It ignores allocative
21 efficiency, which is the efficiency that utilities can
22 produce by trading off between labour and capital.

23 So without having an understanding of what those
24 allocative inefficiencies are, we can't really set a
25 stretch factor that will eliminate them.

26 So what next, you ask? Well I would like to return,
27 again, to the concept of the bell curve. In the
28 conventional statistics again, the bell curve is also

1 represented by a normal distribution. And conceptually
2 within a normal distribution, again, what we have is a
3 pictorial illustration of how confident we are about some
4 estimator or some analysis. In the middle, in the average
5 underneath the curve part, we are very confident about the
6 estimator that we have made, whereas in the tails we are
7 less confident. Then the further away we move from the
8 average, the less confident we are about our estimate.

9 That's the type of idea - whoops -- wrong thing --
10 that's the type of idea that I would like to focus on for
11 my recommendation for stretch factor levels.

12 I am uncertain about the classifications of firms that
13 will take place based on the existing benchmarking
14 analysis. So my concern is two-fold. I want to minimize
15 the distortions that that misclassification can create,
16 because it ignores capital, but at the same time I want to
17 meet the Board's objective to have an effective stretch
18 factor that does reward and recognize LDCs.

19 So my recommendation is that we go back to the long-
20 term productivity analysis, the estimate we created based
21 on actual Ontario data, the 20-year average. You have seen
22 this chart before from my X factor presentation. And we
23 look -- remember my recommendation for the productivity
24 target is the median or midpoint across a range of
25 estimates.

26 So we do have effectively an upper bound and a lower
27 bound. The upper bound is a long term productivity growth
28 rate of 0.73 percent. And the lower bound is a long term

1 productivity growth rate of 0.42 percent for that 20 year
2 average.

3 In my opinion, I am confident about the numbers within
4 that range, the upper and lower bound. I am less confident
5 about productivity estimates and applying those
6 productivity estimates outside of this range.

7 So following sort of very conventional statistical
8 logic about confidence intervals, my recommendation would
9 be to apply the upper and lower bounds in setting my
10 stretch factors.

11 Now, I understand, again, that this graph would
12 suggest that we would have a positive, a negative stretch
13 factor because the midpoint is in the middle, but I want to
14 accommodate the Board's proposal for non-negative stretch
15 factors.

16 So, in effect, my recommendation is that we focus on
17 the upper bound and so that we develop stretch factors that
18 result in an overall X factor for any given utility that
19 doesn't exceed that upper bound, and the difference between
20 the median and the upper bound is 15 basis points. The
21 difference between the median and lower bound is also 15
22 basis points.

23 So my recommendation, in effect, to accommodate the
24 Board's mandate in the Board report and accommodate my
25 concerns about the misclassification, potential of firms
26 and the need to do some empirical analysis to support a
27 stretch factor recommendation is to suggest a stretch
28 factor of 7-1/2 basis points and 15 basis points.

1 So in the end, what we have is the best firms getting
2 a zero stretch factor, so getting just the overall average
3 20-year estimate that we propose of 0.58 percent.

4 Then the group that represents the average would get a
5 stretch factor of 7-1/2 basis points, which would mean a
6 total X factor of 0.58 plus 0.075, which yields 65-1/2
7 basis point X factor, 0.655.

8 Then the worst performers would get a stretch factor
9 of 15 basis points, so they would end up right at the upper
10 bound of the productivity growth we want them to achieve,
11 based on the 20-year estimate. So they would get a total X
12 factor of 0.73 percent.

13 Now, I think a secondary recommendation, but really it
14 is not addressing the primary question that the Board had
15 asked, is that I think we also need to work towards a
16 better method to actually classify firms that is going to
17 look at not just OM&A, but on a total cost basis. But to
18 the extent there is questions, I am happy to speak to that,
19 but I understand it's not -- it wasn't one of the primary
20 questions.

21 So that's it.

22 MR. SOMMERVILLE: Thank you very much. Dr. Kaufmann.

23 **ONTARIO ENERGY BOARD STAFF**

24 **PRESENTATION BY DR. KAUFMANN:**

25 DR. KAUFMANN: Thank you. Are we getting there?

26 This -- my presentation here is going to follow my
27 presentation much more closely than the presentation on the
28 productivity factor, although the organization is a little

1 different than the slides that appear here, but I will
2 prompt the audience about what slide I am on when we
3 change.

4 I would just like to start with a little background,
5 and I think this is going to be hopefully a review for
6 everyone, but just about the nature and role of stretch
7 factors and incentive regulation and how they differ from
8 the productivity factor.

9 Obviously they're both components of the X factor, but
10 they play very distinct roles. The productivity factor is
11 -- it is designed to set a baseline level of productivity
12 growth to make sure that price adjustments satisfy the just
13 and reasonable standard. This is -- it's conventionally
14 measured using a historical measure of TFP growth in the
15 industry, and that's appropriate, because in competitive
16 markets long-run price changes grow at the rate of industry
17 price increases minus the growth in industry TFP.

18 Rate regulation is considered a proxy for the
19 discipline the competitive markets would have, so it is
20 reasonable to take a competitive market proxy and to take
21 the productivity trends that result from that proxy and use
22 that as the basis for the productivity factor.

23 In contrast, the stretch factor is a benefit-sharing
24 mechanism. It doesn't logically depend on the TFP growth
25 that a utility industry has historically experienced and
26 which is the baseline for just and reasonable price
27 adjustments. Instead, it depends on the behaviour of the
28 utilities under incentive regulation itself, under the plan

1 itself.

2 We all know that incentive regulation is designed to
3 create stronger performance incentives than conventional
4 regulation, and that means that under incentive regulation,
5 the companies are expected to increase their TFP growth
6 relative to historical norms. This is reflected in the
7 Board report.

8 The Board report says the stretch factor component is
9 intended to reflect the incremental productivity gains that
10 firms are expected to achieve under IR.

11 So incremental means in addition to or an increase in
12 the amount of, the size of. So that is different than the
13 TFP growth, which is based entirely -- it's linked entirely
14 to historical evidence.

15 The productivity factor is linked to the expected
16 productivity acceleration under the plan itself, and, more
17 precisely, it is the part of the expected acceleration that
18 is reflected in customers' prices. So it is customer share
19 of expected TFP gains that are passed through as price
20 reductions, rather than being retained by shareholders.

21 Now, just skip ahead to slide 35. There is an
22 important implication of this, which is that when you're
23 thinking about the values of the productivity gains, the
24 values of the incremental -- the values of the stretch
25 factor, the values of the incremental productivity gains,
26 that is inherently a forward-looking exercise. It is
27 different from the productivity factor, which is
28 essentially a backward-looking exercise.

1 Appropriate stretch factors depend on the amount of
2 TFP gains that occur after the plan is in place, and we
3 can't observe those now.

4 Because of that, some commissions have actually called
5 the stretch factor a future productivity factor to
6 distinguish it from a more historically-based productivity
7 factor, per se.

8 A wise man once said that nothing is as hard to
9 predict as the future. You might note that that wise man
10 is Yogi Berra, but that is what we're in the position of
11 doing. Inherently, this is a forward-looking exercise
12 where we are trying to make predictions of what will happen
13 in the future.

14 This is -- it is an extremely difficult thing to do,
15 and because of that, and because of the difficulties of
16 doing this on an objective basis, I believe, in practical
17 terms, stretch factors must ultimately be based on
18 judgment. Again, this is different than the productivity
19 factor where you can link the values more specifically and
20 more explicitly to historical information. But at the same
21 time, the judgment can certainly be informed by past
22 experience from regulated industries.

23 So if we go back, now, to -- go back to 33. There are
24 several judgments regarding the way stretch factors are
25 going to be determined based on Staff's proposal and
26 Board's decision about the structure of stretch factors and
27 how they're going to apply, how they're going to be
28 differentiated for different groups within the industry.

1 And this was a recommendation that ultimately came
2 from Staff, but I support it, and which the Board adopted,
3 which is that stretch factors are the same for all
4 distributors within an efficiency cohort, but they differ
5 among cohorts and they're larger for firms that are in the
6 less efficient cohorts.

7 As we know, there are now three efficiency cohorts
8 with three different stretch factors, but it's the values
9 that we're here trying to determine.

10 Again, I think those values must be ultimately based
11 on judgment, and my judgments for the appropriate stretch
12 factor values were guided by two main concerns.

13 Here I am on slide 36. Those two considerations are,
14 first, I believe the recommended stretch factors should be
15 commensurate with our current understanding of Ontario
16 distributors' comparative cost performance. Second, my
17 recommendations for stretch factor values are the ones that
18 I think are most compatible with the incentive regulation
19 experience to date in Ontario.

20 So if we can go to 34, first, in terms of our
21 knowledge of distributors' cost performance, it is
22 noteworthy that the Board's methodology for setting stretch
23 factor values would utilize a cost benchmarking study that
24 was done on behalf of Board Staff by PEG. One of the
25 strengths of that benchmarking study and the way it's been
26 applied in IRM 3 are the controls for uncertainty.

27 I am not sure that this is clear to all participants,
28 but distributors are classified into the three efficiency

1 cohorts based on two benchmarking evaluations. First, you
2 are going to be in group I if you're significantly superior
3 on the econometric cost model, and if you are in the top
4 quartile on the unit cost index benchmarking model.

5 So that's the most efficient group of firms. And
6 firms get in that most efficient cohort by having superior
7 performance on two benchmarking studies.

8 Group III is the group with the least efficient firms
9 and firms only wind up in that group if they register
10 inferior performance on two benchmarking studies. One,
11 they have to be statistically inferior on the econometric
12 model, and they also have to be in the bottom quartile on
13 the unit cost index ranking.

14 Now, just briefly, to explain by statistically
15 inferior and significantly superior. That is a test. The
16 econometric model generates a prediction for cost for OM&A
17 costs in this model for each company.

18 What we do, then, is we compare that cost prediction
19 to the company's actual OM&A cost, and the model also
20 generates a confidence interval and the cost prediction.

21 If firms -- if a firm's actual OM&A cost is within
22 that confidence interval, then it is not statistically
23 superior or inferior. It is an average cost performer.
24 But if costs are below the prediction and it is outside the
25 interval, then it is statistically superior. If costs are
26 outside the interval but they're above the prediction, then
27 they're statistically inferior. So that is just to define
28 those terms.

1 Group II is all others. So a firm is, Group II is
2 kinds of the default average group and a firm winds up, a
3 firm can only move out of Group II into Group I and III if
4 it is superior on both of the benchmarking evaluations that
5 were conducted.

6 In my opinion, the effect of using two separate
7 benchmarking evaluations significantly increases the
8 confidence that we have in the benchmarking results,
9 because it means that the stretch factor for every
10 distributor in Ontario is based on the coincidence of
11 benchmarking results on two different benchmarking models.

12 This application of benchmarking evidence differs from
13 the approaches that have been taken in many jurisdictions,
14 including the UK and New Zealand which are two
15 jurisdictions that have received a fair amount of attention
16 here, and in both of those cases, the stretch factor goals
17 that were reflected in rates were based completely on the
18 results of a single benchmarking study.

19 If you just compare the results under the two studies,
20 our results show that there is a very high correlation
21 among efficiency scores on the two models. So in other
22 words, a firm that ranks very highly and is identified as
23 being superior on the econometric model, is -- there's a
24 very high correlation between those firms that are superior
25 on the econometric model and those that are superior on the
26 unit cost indexing model.

27 So, again, that increases confidence in the results,
28 and in the probability that firms are being classified

1 correctly.

2 Finally, in terms of the way these results are being
3 applied, because the positive and negative stretch factor
4 adjustments relative to the mean stretch factor, focus only
5 on the firms in the tails, the sort of illustration that
6 Ms. Frayer just presented, we're only focussing on those
7 tails and were only identifying firms as being in the tails
8 of the efficiency distribution on two separate benchmarking
9 models because the actual stretch factor, the assignments
10 into the cohorts and the actual stretch factor values
11 depend on being in the tails on both models, rather than
12 for the majority of firms which are going to be bunched up
13 around the middle. That, again, increases confidence that
14 when we're differentiating these stretch factors that we're
15 appropriately recognizing the rewarding differences in
16 efficiency.

17 So in summary, I believe that PEG's methods do control
18 for the uncertainty inherent in benchmarking applications,
19 and the Board's approach of relying on two separate
20 benchmarking evaluations to identify positive and negative
21 performers increases the robustness of the results and
22 reduces uncertainties associated with relying on any given
23 benchmarking study.

24 At the same time, it should be recognized and I think
25 everyone does recognize, that this is the first application
26 of benchmarking in Ontario. And our knowledge can only
27 improve as we gain more experience.

28 Certainly it's going to be enhanced by the planned

1 transition to total cost benchmarking, which has been
2 identified in the Board report as a project that will take
3 place in the future.

4 So I think that we could have confidence, the current
5 benchmarking results are telling us something useful about
6 the relative efficiency of Ontario distributors, but we
7 should also recognize that this is the first step in our
8 understanding of distributors' comparative cost performance
9 and right now we're considering the implications of this
10 benchmarking research for appropriate stretch factor
11 values.

12 I believe that we're more likely to promote a
13 sustainable and effective incentive regulation framework if
14 we take a relatively small step, and on familiar ground,
15 when we use this benchmarking evidence to set stretch
16 factor values.

17 I think that is a more prudent approach, rather than
18 taking a leap into new territory on stretch factors that
19 haven't been adopted to date in Ontario.

20 That leads me to my second criteria which is guiding
21 my recommendations, and this is on slide 37, and that is
22 the precedents that have been adopted in Ontario so far.
23 There have been three explicit stretch factors approved in
24 Ontario. There was the .25 percent value for all
25 distributors in first generation incentive regulation.
26 Then there were two values that were approved for gas
27 distributors: one for Consumers, now Enbridge Gas
28 Distribution. That value is .47 percent, and .5 percent

1 for Union Gas.

2 The Enbridge was a targeted PBR plan on OM&A
3 adjustments. The Union Gas was comprehensive.

4 So if you look at the average value for stretch
5 factors in Ontario, if you treat all of these precedents
6 equally, you come up with an average of about 0.41 percent.

7 But if you - obviously, the first value applies to
8 many more companies, and companies that are much bigger and
9 represent a bigger share of the total energy industry in
10 Ontario, so if we would -- and my recollection is there are
11 about 200 companies at the time of IRM 1.

12 So if we treat each of those 200 observations of .25
13 percent, if we equally weighed all of those and look at the
14 average then the average is very close to .25 percent.

15 So I believe there's value in tying our current
16 recommendations to these precedents, and one reason is that
17 it is clearly consistent with the Board's past ratemaking
18 practice, and therefore, it is consistent with the
19 objective of predictability.

20 In my opinion, the stretch factor values of .25
21 percent and .5 percent strike a reasonable balance between
22 non-trivial benefit sharing which, again, is what stretch
23 factors are designed to do -- and taking a relatively
24 conservative approach, which I believe is warranted since
25 this is the first regulatory application of benchmarking.

26 I also believe that relatively conservative stretch
27 factors now will be consistent with the goal of
28 sustainability.

1 Stakeholders in companies are likely to develop more
2 confidence in our approach if we begin with relatively
3 small steps and build on our experience, rather than
4 implementing more dramatic stretch targets at the outset.

5 It should be noted that Group I, the stretch factor
6 there is zero and that does depart from precedent.

7 I think that is reasonable, because these firms are
8 already demonstrably superior cost performers, so therefore
9 they have limited ability to achieve incremental
10 productivity gains in excess of what is reflected in the
11 productivity factor. And it is appropriate to recognize
12 and reward those firms' performance which we can do by
13 having a lower, and that is zero, stretch factor value.

14 This is also the one area where all parties agree. So
15 maybe there is not that much need to have additional
16 discussion on this point and I wasn't planning on focussing
17 excessively on that value.

18 In my recommendation, skip briefly to 43, most of the
19 companies will be in Group II and have a stretch factor
20 that is equal to the stretch that was approved for all
21 companies in IRM 1. So what that means is that my current
22 judgment is tied very closely to the Board's judgment in
23 IRM 1, but it is amended to reflect the fact that now we
24 have benchmarking evidence on differential productivity
25 levels and, therefore, differential abilities to achieve
26 incremental productivity gains.

27 So, therefore, the -- there are -- .25 is the average
28 and it's the stretch factor that will apply to most firms

1 in the industry, but there are different stretch factors
2 for different companies based on the benchmarking evidence.

3 For the least efficient cohort of distributors, my
4 recommended stretch factor of 0.5 percent is equal to what
5 the Board has approved for Union Gas, and it's almost
6 identical to what was approved for Enbridge.

7 As Jay Shepherd has pointed out, the average stretch
8 factor in North American plans is also very close to 0.5
9 percent.

10 So, in my opinion, making the highest stretch factor
11 in 3rd generation IRM equal to the average North American
12 precedent, it is -- again, it is consistent with the
13 conservative application of benchmarking, which, again, I
14 think is reasonable given that this is the first time we're
15 actually using benchmarking evidence to set stretch
16 factors.

17 So let me circle back now to slide 39 and talk a
18 little bit about the idea which has been discussed in this
19 proceeding up to this point, which is that economic theory
20 implies that stretch factors are only appropriate for firms
21 immediately after the transition from cost-of-service
22 regulation, and Ontario distributors have been under a form
23 of incentive regulation for years.

24 I don't find this persuasive. In fact, I think it is
25 not the case.

26 It is true that economic theory says that stretch
27 factors should be imposed after the move from cost-of-
28 service regulation, but the theory never says the stretch

1 factors are warranted only in one incentive regulation
2 plan, and then should be immediately removed.

3 Ultimately, I don't believe that this is a theoretical
4 issue. The issue of how long stretch factors should be in
5 effect is ultimately an empirical one, and it pertains to
6 how long regulated firms can register higher TFP growth
7 rates after they become stronger to -- after they become
8 subject to stronger regulatory incentives.

9 There is a fair bit of evidence on that point. For
10 example, in the UK, there was a study that was done by a
11 firm called Cambridge Economic Policy Associates for the UK
12 regulator. What they found was that the British power
13 distributors registered TFP gains of more than 4 percent
14 from essentially flat TFP, before they became subject to
15 incentive regulation.

16 They went from about zero to 4 percent TFP gains, and
17 if you compare the TFP experience in the first incentive
18 regulation plan, which was from 1990 through '95, to the
19 TFP experience in the second plan, from '95 to 2000, the
20 TFP growth was greater in the second plan than in the
21 first.

22 So that's some evidence that TFP has accelerated over
23 time when companies become subject to stronger incentives.

24 A second study that's recently been done was done by
25 Dennis Lawrence, who is part of the London Economics team.
26 That was a study that was done in the Australian state of
27 Victoria for gas distributors.

1 He conducted a study of TFP growth in the eight years
2 after those companies became subject to privatization, and
3 what he found was that in year 7 and 8, those companies
4 registered significantly more rapid TFP gains than they did
5 in the first six years, on average. So, again, there's
6 average -- there's evidence that TFP has accelerated over
7 time. It hasn't just responded one time, and then tended
8 to drop off. It has responded and it has continued to
9 respond, and it has continued to go higher and higher.

10 A little bit closer to home, US railroads were --
11 became subject to a form of incentive regulation beginning
12 in 1980, after almost being bankrupt in the '70s.

13 More than 20 years later -- and they developed a
14 productivity factor that was part of the regulated
15 services. The Association of American Railroads had a TFP
16 study that they updated annually. So there is very good
17 information on what happened to their TFP growth in every
18 year under the plan.

19 What it shows is that TFP went from flat to more than
20 5 percent for more than 20 years. And if you compare the
21 TFP experience in the '80s, which was the first decade
22 after regulatory reform and incentive regulation, with the
23 TFP experience in the second decade, again, it was more
24 rapid in the '90s than it was in the '80s.

25 So this is all evidence that tends to support the idea
26 that it's not necessarily the case - and we shouldn't
27 assume - that firms can exhaust their ability to achieve
28 incremental TFP gains in, say, the first several years

1 after incentive regulation. There is a wealth of
2 information from regulated industries that that is not the
3 case and that companies can respond very strongly to
4 stronger incentives for long periods of time.

5 Now, I am not basing my recommendations on any of this
6 evidence for a couple of reasons. One, as Julia has
7 pointed out, the initial conditions do matter. If you
8 start out being extremely efficient, as the UK distributors
9 probably were, then it is reasonable to expect very big
10 efficiency gains are possible. And the industries differ,
11 too.

12 The -- railroads is a different industry than power
13 distribution. So I think you have to be very careful about
14 looking to the experience from another industry as the
15 basis for incremental productivity gains, but still it is
16 relevant that a company's ability to achieve gains on an
17 ongoing basis for many years, there is a lot of evidence to
18 support the fact that companies do do that after incentive
19 regulation.

20 Given that, it's perhaps not surprising that
21 regulators routinely approve stretch factors more than 15
22 years after incentive regulation has first been approved.
23 We talked about the Boston Gas plans -- or the plans in
24 Massachusetts.

25 I supported -- I testified in support of both the
26 Boston Gas and the Bay City Gas plans. Those plans will
27 subject these companies to incentive regulation for a total

1 of 15 years, and in both cases we came forward with
2 positive productivity stretch factor proposals.

3 I am not aware of any plans that have eliminated the
4 stretch factor, even though some companies have proposed
5 it.

6 So just to summarize, my recommendations for the
7 stretch factor are obviously based on judgment, but it is a
8 judgment that's grounded in two considerations.

9 One is our current understanding of distributors'
10 comparative cost performance, and the fact that we do know
11 something about where distributors stand relative to each
12 other, in terms of their efficiency, and, because of that,
13 it's appropriate to have differentiating stretch factors as
14 the Board has adopted.

15 But at the same -- it is also true that the stretch
16 factor recommendations contain numerous controls to control
17 for the uncertainty of our knowledge in terms of, for
18 example, that there are two benchmarking evaluations used
19 to set the stretch factor.

20 So that's all -- that all suggests that there are
21 appropriate controls for uncertainty, but still our
22 knowledge is -- of these comparative cost differences is
23 really at a very early stage. And because of that, I
24 believe it is appropriate to take a conservative approach
25 and tie the precedents very directly to what's been
26 approved in Ontario to date.

27 In the future, it may be possible to develop a more
28 objective and data-based approach to looking at the TFP

1 gains that have actually been registered by these
2 companies, and, again, we could go back to the Boston Gas
3 case.

4 In Boston Gas, the company -- I testified actually on
5 the update of their incentive regulation plan. What I did
6 is, when it came time to recommending the stretch factor
7 value, I looked at -- I developed an econometric model that
8 included a variable that looked at the impact of incentive
9 regulation on the company's TFP gains during their original
10 plan.

11 What that model showed was that the company -- after
12 controlling for the variables, the company's TFP growth
13 accelerated by 0.3 percent per annum under the plan.
14 Boston Gas was a very efficient company at the outset of
15 the study and yet it still registered some TFP gains.

16 The commission in Massachusetts used that as the
17 approved stretch factor in that plan.

18 So that is an example of the type of objective
19 evidence that could be possible to develop and -- as we
20 move forward and think about a more objective sort of basis
21 for stretch factors in the future, but, unfortunately,
22 we're not there yet. We don't have that sort of
23 understanding.

24 That's it.

25 MR. SOMMERVILLE: Thank you.

26 Dr. Yatchew.

27 **ELECTRICITY DISTRIBUTORS ASSOCIATION**

28 **PRESENTATION BY DR. YATCHEW:**

ASAP Reporting Services Inc.

(613) 564-2727

(416) 861-8720

1 DR. YATCHEW: Thank you.

2 Stretch factors are rationalized on the basis that a
3 utility should experience accelerated productivity growth
4 as one transitions from cost-of-service to incentive
5 regulation.

6 This is not something that I am advancing, as you have
7 heard. This is an assertion that PEG has made in a number
8 of places at various points in time, including in the PEG
9 calibration where it states that a consumer dividend is
10 also sometimes added - sometimes added - to this historical
11 TFP trend to reflect the expected acceleration in TFP,
12 relative to the industry's historical norms when a firm
13 becomes subject to PBR.

14 I have spent some time doing a literature search
15 trying to find arguments in support of stretch factors.
16 This is pretty much the rationalization that exists out
17 there, this transition from one regime to another.

18 I will return to this issue a little bit later.

19 I would like to begin with some comments on Ontario's
20 setting, in particular.

21 Ontario distributors have been under a form of price
22 cap regulation for a period of time. In some judgments,
23 for an extended period of time. In addition, Ontario
24 distributors have been engaged in a form of yardstick
25 competition for many years. These two factors would seem
26 to weaken the case for stretch factors.

27 Earlier, I argued -- this is in earlier submissions to
28 this Board -- I argued that a diversity factor, which

1 reflects relative efficiencies of distributors, is an
2 appropriate part of the long-term vision for incentive
3 regulation in Ontario, and that the diversity factor should
4 be centered at the base productivity factor, that is it
5 should take on positive and negative values. My view has
6 not changed on that.

7 However, taking as a given the Board has determined
8 that non-negative stretch factors will be assigned, my
9 intent is to comment on reasonable or appropriate levels.

10 The Board has expressed the intention to use OM&A cost
11 data to assess Ontario distributor efficiency and to assign
12 stretch factors.

13 There are serious concerns about the validity of the
14 benchmarking analysis which focuses on OM&A costs rather
15 than total costs.

16 There is substantial potential for misclassification,
17 for example, some efficient firms with high OM&A costs but
18 low total costs will be misclassified as inefficient and
19 assigned an inappropriately higher stretch factor.

20 There are other sources of misclassification, given
21 the apparatus and data that we have in place. The one that
22 I have just mentioned is the first one, the use of OM&A
23 rather than capital data or total cost data.

24 A second source of misclassification arises out of
25 mismeasurement of variables, such as labour, and the
26 absence of other variables such as the age of capital
27 stock.

28 A third source of misclassification is simply

1 statistical error, or what we call statistical type I
2 error. There is also type II error but I am going to
3 describe the type I error, source.

4 The fourth source of potential misclassification
5 arises out of our reliance on US distributor data, which
6 has been well recognized here as being a less-than-perfect
7 surrogate for Ontario data.

8 One might argue that misclassification error arising
9 out of the reliance on OM&A data rather than on total cost
10 data is likely to be minor and we could speculate on the
11 degree of that misclassification.

12 We cannot conclude definitively what that degree of
13 misclassification is going to be in Ontario, because we
14 don't have Ontario total cost data. If we had the Ontario
15 total cost data we would, of course, use it.

16 On the other hand, the US data contains both OM&A
17 information and detailed information on total costs.

18 So we can conduct a test or an assessment of the
19 degree of this kind of misclassification that would occur
20 from just the first source, the reliance on OM&A data, by
21 analyzing the US data set in two ways, and this is what I
22 did.

23 First, I estimated the PEG total cost model for US
24 distributors and I then ranked utilities in two efficiency
25 quartiles.

26 I then repeated this exercise, but this time
27 estimating an analogue of PEG's OM&A cost benchmarking
28 model, much like the one that's being used in Ontario. I

1 estimated this and utilities were, again, ranked into
2 efficiency quartiles.

3 The two rankings were then compared.

4 The result of this misclassification analysis was that
5 over 30 percent of utilities were misclassified when one
6 used OM&A model data rather than estimating the total cost
7 model. That is 20 out of 63 utilities.

8 Additional specific information on this is found in
9 the chart before you. The red boxes, shaded boxes if you
10 are not in colour, correspond to utilities which have been
11 misclassified.

12 So for example, the bottom box with a "5" in it, the
13 bottom centre box with a "5" in it, has five utilities who
14 were classified in the bottom quartile with respect to OM&A
15 costs, but were, in fact, in the second or third quartiles
16 in classified by total costs. So they would have been
17 inappropriately penalized.

18 Conversely, if we take, for example, the utilities
19 that are in the top central shaded box, these utilities
20 were classified as the most efficient from the point of
21 view of OM&A costs, but when assessed according to total
22 costs, they fell into the second or third quartiles. So
23 they would have been given a stretch factor break rather
24 than -- they would have been assigned as zero stretch
25 factor, rather than some positive stretch factor.

26 Let me say that the fact that some get assigned to a
27 higher stretch factor and some get assigned to lower
28 stretch factor doesn't imply that, well, the pluses and

1 minuses average out. Two wrongs don't make a right. And
2 whether you are giving too much benefit of the doubt to one
3 utility or penalizing a utility that shouldn't be a
4 utility, those are both errors and they have to do with
5 equity issues and they also have implications for
6 incentives for those utilities.

7 A more detailed description of this analysis can be
8 found in the fine print, the source is in a document that I
9 submitted and is available on your website.

10 Now, last year when we first looked at the
11 benchmarking analysis that was performed by, in the
12 parallel work, and capital was entirely missing from the
13 model, it became very clear that this was simply a non-
14 starter for purposes of reasonable benchmarking. Since
15 that time, PEG has inserted two capital-related variables,
16 one that measures customer growth. The other that measures
17 degree of undergrounding.

18 In my view, these do not constitute proxies for the
19 critical variable that is absent, the quantity of capital
20 stock, so that viewing the OM&A cost function as a
21 conditional cost function -- conditional on capital stock
22 -- that model has not yet been estimated correctly.

23 Let me turn to a second potential source of
24 misclassification, and this is as a result of mismeasured
25 or omitted variables.

26 For example, the labour variable used by PEG is an
27 index based on Statistics Canada data. My understanding is
28 that PEG would have preferred to use utility-specific data,

1 but was for one reason or another, confidentiality issues,
2 not provided access to those data.

3 The Statistics Canada data do not directly measure
4 labour utility rates, and this can have a material impact
5 on the kinds of scores, performance scores, that a utility
6 experiences.

7 Niagara-On-The-Lake provides such an example.
8 Niagara-On-The-Lake Hydro was assigned a cost of labour
9 index of 0.891, while a neighbouring utility, contiguous
10 utility, was assigned a value of 1.015, a difference of 14
11 percent.

12 My understanding is that Niagara-On-The-Lake Hydro
13 wrote to the OEB on this matter and that at the time of the
14 communication, the line rate at the neighbouring utility
15 was 3.8 percent higher, not 14 percent higher. It was only
16 3.8 percent higher than that of Niagara-On-The-Lake.

17 Since labour comprises about 50 percent of OM&A costs
18 at Niagara-On-The-Lake Hydro, there is likely a substantial
19 impact on the corresponding performance score.

20 Let me give you another example of a variable that
21 might be mismeasured or even missing, and that is the age
22 of capital stock.

23 Even if you have a quantity of capital in the model,
24 the age of capital stock is found to be an informative
25 variable. In a report I prepared and filed before this
26 Board commenting on the PEG benchmarking study last year, I
27 noted over 10 percent of the variation in total costs
28 amongst Ontario distributors is due to the differences in

1 age, not quantity, of capital stock, and that incorrect
2 measurement can result in performance scores that are, in
3 some cases, in error by as much as 20 percent.

4 A third source of misclassification has to do with the
5 way statistical tests are performed. Statistical tests are
6 done with a certain probability of error. For example,
7 even if a utility is indistinguishable from the average, if
8 one sets a certain significance level of critical value,
9 depending on whether you are using a confidence level or a
10 hypothesis test, then there will be inevitably utilities
11 are average being classified as either superior or
12 inferior.

13 With the significance levels that are being used in
14 the PEG report, 20 percent of utilities will, on average,
15 be misclassified as either statistically superior or
16 statistically inferior.

17 And the fourth source of misclassification or
18 potential for misclassification, I would just simply
19 reiterate that the use of US data in the Ontario setting
20 will inevitably yield its own erroneous consequences.

21 Let me turn now to a second aspect of setting stretch
22 factors based on OM&A analysis.

23 Regulatory focus on OM&A costs rather than on total
24 costs has the effect of distorting incentives and can lead
25 to over-capitalization by utilities seeking to reduce OM&A
26 expenditures, under-spending on OM&A and suboptimal
27 decisions with respect to own versus lease alternatives.

28 I think it is very helpful if the distributor

1 community were to be confident that we are moving towards
2 total cost benchmarking and that that will happen in a
3 finite time, rather than extension of the OM&A
4 benchmarking, which would create the wrong incentives.

5 In any event, I am still concerned that even over the
6 short term you want to encourage the right kinds of
7 decisions. So given the strong likelihood of substantial
8 misclassification and given that the Board has determined
9 that non-negative stretch factors will be implemented, we
10 recommend that the stretch factors be materially lower than
11 those recommended by the Pacific Economics Group.

12 Specifically, I would recommend the following stretch
13 factors: For the least efficient group, a stretch factor
14 of 0.2 percent; for the most efficient group, 0.0 percent;
15 and for all other utilities, 0.1 percent.

16 This approach reduces the risk of inappropriate
17 incentive creation and mitigates the effects of
18 misclassifications which will inevitably be occurring.

19 So let me just contrast this with PEG's productivity
20 factors. PEG is recommending an average productivity
21 factor of 1.15 percent, consisting of 0.88 percent base
22 productivity factor, and then stretch factors ranging from
23 zero to 0.5 percent. Productivity factors would range from
24 0.88 percent to 1.38 percent under the PEG proposed plan.

25 And PEG's recommended 1.15 percent productivity factor
26 average for the industry is outside the range of observed
27 average productivity growth rates in the United States
28 during the entire 1988 to 2006 period.

1 In my view, the resulting X factors that are being
2 proposed by PEG don't satisfy the sustainability criterion
3 that has been widely agreed upon. Furthermore, I have some
4 difficulty in relying upon precedents as a basis for
5 assigning stretch factors. The existence of precedents in
6 other jurisdictions does not constitute a justification;
7 nor does the existence of precedence in Ontario necessarily
8 constitute a justification.

9 For example, there are important differences between
10 the Ontario electricity distribution and Ontario natural
11 gas distribution segments. Equitable treatment of both
12 sectors requires neither -- neither requires nor implies
13 identical treatment.

14 In my view, the determination of a productivity factor
15 should not be prejudiced by those that have been imposed
16 elsewhere, but, rather, informed by productivity factors
17 that have actually been observed over time, the realized
18 productivity factors.

19 Let me summarize. First, the rationale for stretch
20 factors is weak. It is certainly, in my mind, weaker than
21 in the case where we're moving from strict cost-of-service
22 regulation to incentive regulation. Stretch factors are
23 rationalized on the basis that a utility should experience
24 accelerated productivity growth as one transitions from
25 cost-of-service to incentive regulation, but Ontario
26 distributors have been under one form or another of
27 incentive regulation or yardstick competition for an
28 extended period of time.

1 Second, the misclassification potential in the
2 assignment of utilities to cohorts, that misclassification
3 potential is high. This arises out of the reliance on OM&A
4 rather than total cost data; absence of capital data;
5 mismeasurement of important variables such as labour rates;
6 probability of type 1 error, which is at present at 20
7 percent according to the formulation that has been put
8 forth; and of course the use of US data in Ontario; and,
9 finally, the point that I made already about the potential
10 for risk of incentive distortion where utilities may focus
11 on reducing OM&A costs, at least in the short term, rather
12 than total costs, which could, in turn, result in
13 inefficient resource allocation.

14 Last slide. Stretch factors should, therefore, in my
15 view, be substantially smaller than those proposed by the
16 Pacific Economics Group. We recommend stretch factors of
17 0.0, 0.1 and 0.2 percent for the three groups, with
18 resulting X factors of 0.55, 0.65 and 0.75 percent.

19 The average industry X factor would be approximately
20 0.65 percent, which is substantially higher than recently
21 observed -- recently observed productivity growth rates in
22 the US and in Ontario and, therefore, in and of itself,
23 would constitute a stretch. Thank you.

24 MR. SOMMERVILLE: Thank you.

25 **QUESTIONS/DISCUSSION:**

26 MR. VLAHOS: Dr. Yatchew, just one question of
27 clarification at this time.

28 On your slide 17 -- did you find that? Your second

1 bullet point where you say, "In addition, Ontario
2 distributors have been engaged in a form of yardstick
3 competition for many years", what did you have in mind,
4 sir? I am not sure I am clear on this.

5 DR. YATCHEW: The Ontario distributor segment is rare
6 in its structure when you look worldwide. It is not
7 unique. But it is rare.

8 It is rare because we have historically had very many
9 utilities, close to 400 not more than 15 years ago.

10 During the many years that there were many utilities
11 in this province, there was a systematic process for
12 comparing performance amongst utilities.

13 Utilities finding better ways to do things, that
14 information would be transmitted to others, because there
15 was a relative open public sector system for doing so.

16 That's what I mean when I say there was an informal
17 yardstick competition.

18 MR. VLAHOS: It was industry-driven, I guess? Self-
19 induced, not regulatory-induced.

20 DR. YATCHEW: That's correct.

21 MR. VLAHOS: Right.

22 DR. YATCHEW: But had -- if Ontario distributors were
23 exorbitantly inefficient, the regulator would have stepped
24 in, in all likelihood. In that case, actually, the
25 regulator was Ontario Hydro, as I recall. But the fact
26 that it was driven internally, that it was really
27 spontaneous, does not necessarily detract from the possible
28 efficiency layers.

1 MR. VLAHOS: That's fine. I just wanted to understand
2 the context of this. I wasn't sure whether you were
3 talking about OEB-driven things, but obviously you are not.

4 DR. YATCHEW: No.

5 MR. VLAHOS: All right. Thank you.

6 MR. SOMMERVILLE: Questions.

7 Mr. MacIntosh?

8 MR. SOMMERVILLE: Let me suggest that if the
9 questioner is exploring an area that a subsequent
10 questioner may be interested in, don't stand on formality.
11 If you think the answer can be expanded to satisfy your
12 interest, suggest that expansion of the question freely.

13 I don't think I said that very well. But jump in when
14 you think your question may be covered.

15 Mr. MacIntosh.

16 MR. MACINTOSH: David MacIntosh for Energy Probe
17 Research Foundation.

18 Dr. Kaufmann, would you please respond to the
19 proposition that there should not be a lower stretch factor
20 for Group I utilities than for group II, since a
21 corporation has achieved superior productivity, has the
22 management structure and management personnel in place
23 which will allow it to achieve increased productivity.

24 DR. KAUFMANN: So you're saying -- it seems that your
25 assumption is that because they have already achieved a lot
26 of productivity gains, that we can expect them to achieve
27 additional --

28 MR. MACINTOSH: It would that they might have superior

1 management and management structure.

2 DR. KAUFMANN: I would say the reason that they're in
3 a different group with a different stretch factor is you
4 want to reward that. There is nothing wrong with that, in
5 fact, you want to encourage that. You want other companies
6 to get in Group I as well. And if you impose the same
7 stretch factor for the companies that are already doing
8 well as opposed to the ones in the middle, then that
9 doesn't give the companies in the middle that much
10 incentive to get better.

11 MR. MACINTOSH: Thank you.

12 MR. SOMMERVILLE: We will go geographically, then.
13 Mr. Thompson you are next.

14 MR. THOMPSON: Thanks very much.

15 Again, my questions are primarily of a clarifying
16 nature and see where we have consensus and we do not have
17 consensus. I don't expect to be very long.

18 First of all, am I right that each of you agree that
19 the determination of the stretch factor for each cohort is
20 primarily a judgmental exercise?

21 DR. KAUFMANN: At this point, yes.

22 MR. THOMPSON: Everybody is nodding. Okay. I am
23 putting you all down for "yes."

24 MR. SOMMERVILLE: You get a bonus for that one, Mr.
25 Thompson.

26 MR. THOMPSON: And do each of you agree that factors
27 influencing the Board's judgment include the term of the
28 plan, the absence of an earnings sharing mechanism, and the

1 capital expenditure module determinations?

2 DR. KAUFMANN: I do. Yes.

3 DR. YATCHEW: I agree those are some of the factors.

4 MS. GIRVAN: Can't hear you.

5 DR. YATCHEW: I added -- I have added some additional
6 factors that I would hope the Board might take into
7 consideration, the potential for misclassification being
8 one of them, the history of rate constraints and, prior to
9 that yardstick competition in this province.

10 I could provide you with statistical analysis of these
11 utilities back in the '90s.

12 MR. THOMPSON: I wasn't intending to exclude anything.
13 I just wondered if you agreed that it included those three
14 topics.

15 Okay, now, do each of you agree that the issue of the
16 number of cohorts has been decided -- at least for this
17 case? There will be three of them: One, two, and three.

18 DR. KAUFMANN: Yes.

19 MR. THOMPSON: Okay.

20 DR. YATCHEW: If it's up to us.

21 MR. THOMPSON: Now, can someone tell me -- first of
22 all, how many LDCs are there? Is it 83? Is that the
23 number?

24 MS. FRAYER: Eighty-two.

25 DR. KAUFMANN: I think it is 83.

26 MR. THOMPSON: Eighty-three.

27 MS. FRAYER: I thought it was 82 as of 2007?

28 MR. THOMPSON: Can't hear you, sorry. Okay. How many

1 end up in cohort 1?

2 DR. KAUFMANN: There are 11.

3 MR. THOMPSON: Eleven. How many end up in cohort 3?

4 DR. KAUFMANN: Eleven.

5 MR. THOMPSON: All right. Thank you.

6 All right. Now, just to move to the recommended
7 ranges.

8 As I understand it, Dr. Kaufmann, you have for cohort
9 1, zero; for cohort 2, 25; and for cohort 3, 50 basis
10 points.

11 DR. KAUFMANN: That's correct, yes.

12 MR. THOMPSON: Dr. Yatchew, zero for cohort 1; 10 for
13 cohort 2; and 20 and for cohort 3.

14 DR. YATCHEW: 0.1 and 0.2.

15 MR. THOMPSON: Okay. I'm saying basis points, but
16 okay.

17 And Ms. Frayer, zero for cohort 1; 0.075 for cohort 2;
18 and 0.15 for cohort 3?

19 MS. FRAYER: Yes, that's correct.

20 MR. THOMPSON: Mr. Shepherd is, do you understand to
21 be zero for cohort 1; 50, cohort 2; and 100, cohort 3?

22 MS. FRAYER: Yes.

23 MR. THOMPSON: All right. Thank you.

24 Now, let's then turn to this risk of misclassification
25 that you have been discussing at some length, Dr. Yatchew.
26 I think you were touching on that as well, were you, Ms.
27 Frayer that was part of your --

28 MS. FRAYER: Yes. That is one of the biggest drivers

1 behind my recommendations.

2 MR. THOMPSON: Okay. But do we agree that the Board
3 has directed how this classification is to be done in this
4 case? We're supposed to use this OM&A study; right?

5 MS. FRAYER: I agree that it is directed, but it
6 doesn't obviate my concerns about misclassification.

7 MR. THOMPSON: No. I'm not trying to denigrate them.
8 But to the extent they're addressed, it will be in part of
9 the continuum here, beyond this case.

10 The means of measuring the diversity of efficiency,
11 that has to be change changed, it's going to be changed for
12 the purposes of the next case, not this case.

13 MS. FRAYER: Well in fact, just to reiterate my view
14 on this, I took what the Board's decisions -- all of the
15 Board's decisions already in the report as a given.

16 With that in play, the foundation that's been given
17 that's been decided on, I presented my best professional
18 opinion on what the stretch factor should be, given the
19 elements that are already fixed.

20 MR. THOMPSON: All right. Well, are you questioning
21 the Board's decision or are you simply giving us some
22 preview of how you think it should be done in the future?

23 MS. FRAYER: Well there is a slide in my pack that
24 talks about what can be done to improve it, I didn't talk
25 to it today. But ultimately my recommendation for the
26 levels of stretch factor, for 3rd generation IRM, are
27 taking on its basis that this is the classification that's
28 going to happen. So with that in mind, I wanted to be -- I

1 wanted to have stretch factors that would minimize the
2 distortion that's likely to occur with those given facts.

3 MR. THOMPSON: All right.

4 MR. SOMMERVILLE: Just a note of caution, Mr.
5 Thompson. The Board report does not explicitly rule out
6 the idea that the three cohorts may be treated absolutely
7 equally, that you could have the same stretch factor for
8 each of the cohorts.

9 MR. THOMPSON: Right. No, I understand that.

10 MR. SOMMERVILLE: I just wanted to make that clear.

11 MR. THOMPSON: You are anticipating my questions.

12 MR. SOMMERVILLE: I did see it coming.

13 MR. THOMPSON: As you always do.

14 Okay. Now, I just want to take you briefly to -- Dr.
15 Yatchew, because you talk about misclassification, as well,
16 in your stuff, but at slide -- I think it is 24.

17 DR. YATCHEW: That's in the productivity section?

18 MR. THOMPSON: Page 24.

19 DR. YATCHEW: Twenty-four?

20 MR. THOMPSON: Two-four, yes. You say:

21 "Under the proposed procedure, 20 percent of the
22 utilities, on average, will be misclassified as
23 either being statistically superior or
24 statistically inferior."

25 Do I understand that to mean about two out of eleven
26 in category 1 don't belong there, and about two out of
27 eleven in category 3 don't belong there? Is that what
28 you're saying?

1 DR. YATCHEW: As a ballpark, I will accept that
2 number, but I have to convince myself.

3 MR. THOMPSON: Well, I am just taking your 20 percent,
4 multiplying it by 11. It's 2.2, I guess, to be precise.

5 DR. YATCHEW: Yes.

6 MR. THOMPSON: Okay. Now, you sound like a ratepayer
7 rep, you know, when you start complaining about
8 classification and you have fallen into the wrong box, but
9 I will leave that for another day when we retain you.

10 [Laughter]

11 MR. THOMPSON: But would you agree with -- let me
12 throw this out for the comments of each of you.

13 If there is this misclassification as between the 1s
14 and the 3s - they may be in the wrong spot - the response
15 to that is not to reduce the stretch factor on average, but
16 to narrow the differences between the average stretch
17 factor in cohort 1 and cohort 3.

18 So -- whereas Mr. Shepherd is 50 on average and Dr.
19 Kaufmann is on 25 and you are 10, and Dr. Yatchew, and Ms.
20 Frayer is 7.5, rather than going from zero to 100, if you
21 use the 40 percent and 140 percent of average, you would
22 have numbers like 20 and 80 in Shepherd's case; 10 and 40
23 in Dr. Kaufmann's case for 1 and 3; 4 and 16 in your
24 scenario, Dr. Yatchew; and 3 and 12 in Ms. Frayer's
25 scenario.

26 Could you comment on that type of response to what you
27 call is the risk of misclassification?

28 DR. YATCHEW: I'm sorry, I have completely

1 misunderstood the question. Is it possible for you to
2 rephrase it?

3 MR. THOMPSON: Well, that's too bad.

4 MR. SOMMERVILLE: Let me help, if I can. I think what
5 Mr. Thompson is getting at is that the appropriate response
6 to a concern about misclassification is to narrow the
7 difference between the non-performers and the average
8 performers so that you mitigate the differences between
9 those two. So you don't punish the bad performers quite as
10 severely and you don't -- well, punish the middle guys
11 commensurately.

12 So you contract the differences.

13 DR. YATCHEW: When you say "contract the differences",
14 you can contract the differences between the steps in the
15 penalties?

16 MR. SOMMERVILLE: Yes.

17 DR. YATCHEW: That's what I have done. That's not the
18 only response, but I thought that that is what I had done.

19 MR. THOMPSON: You ratcheted them all down. What I am
20 suggesting is you don't have zero for the superiors. You
21 have a positive number that's less than the average, and
22 you don't have 20 for your superiors. You have a number
23 that is 16. But you do that -- I'm not saying that is
24 where we land, but that is the response to your -- to a
25 misclassification concern as opposed to ratcheting
26 everything down.

27 DR. YATCHEW: So you would suggest, then, that the
28 most efficient performers would achieve -- would be

1 required to achieve a non -- a positive stretch factor?

2 MR. THOMPSON: Right, because you say that somebody in
3 there is not a superior efficiency.

4 DR. YATCHEW: Right.

5 MR. THOMPSON: So they will drag the class, if you
6 will, down. I have been there, done that, many times.

7 [Laughter]

8 DR. YATCHEW: What's that line? Grade 3, the best
9 three years of my life.

10 Yes, there are other ways of configuring and
11 contracting the differences so that the relative penalties
12 are smaller, and, therefore, reducing the effect of
13 misclassification. When you superimpose on that my initial
14 view that the justification for stretch factors for these
15 other reasons is not as strong as it would be had we just
16 been entering incentive regulation for the first time, I am
17 comfortable in assigning zero as the stretch factor for the
18 efficient firms.

19 MR. THOMPSON: Well, I think you've said this. The
20 approach that Mr. Sommerville has put to you, which is what
21 I was trying to put to you, is an option. It is a judgment
22 option.

23 DR. YATCHEW: It's an option. There is another
24 option, another option --

25 MR. THOMPSON: We understand that. You were an
26 advocate for no stretch factors at all, and the Board
27 didn't buy that; right?

28 So we are now into positive ground.

1 DR. YATCHEW: And I need to accept that. I was in
2 favour of diversity factors. I was in favour of
3 differentiating utilities, but around the productivity
4 factor of 0.72 percent or 0.88 percent, which is what Dr.
5 Kaufmann has recommended.

6 So I was not in favour of completely ignoring
7 differences amongst utilities, certainly not forever.

8 MR. THOMPSON: Okay. Well, let's leave it there.
9 Thank you very much. Those are my questions.

10 MR. SOMMERVILLE: Thank you, Ms. Girvan. Oh, I beg
11 your pardon.

12 DR. KAUFMANN: The question was directed at the three
13 of us.

14 MR. THOMPSON: I didn't mean to cut anybody off.

15 DR. KAUFMANN: I would like to say just a word about
16 misclassification. It has received a lot of attention.

17 I don't want to open up a huge new area of debate and
18 discussion, so I am not trying to do that, but I do have to
19 correct some statements about our work which are not true.

20 If we go to Professor Yatchew's slide 21, he said here
21 that what he's done is he has taken our approach for
22 determining stretch factors and applied it to the US data,
23 and he has determined that 30 percent of these companies
24 are misclassified.

25 I just have to point out that this is not the way we
26 are determining stretch factors for two reasons.

27 One, stretch factors do not depend on any single
28 company analysis -- company benchmarking analysis. It

1 depends on two. This is only one.

2 So this does not and cannot capture what we have done,
3 because what we have done is we have looked at two, and we
4 have done that primarily to reduce the extent of what's
5 called misclassification, to increase the robustness of our
6 results. So that is one thing. That is not an accurate
7 reflection of the recommendations and the basis for the
8 stretch factors.

9 The second thing, and I am not entirely clear what
10 Adonis has done here, but if you just focus on the
11 econometric model, our econometric benchmarks, the rankings
12 there, do not depend on quartile rankings. The econometric
13 benchmarks depend on whether companies are statistically
14 significant, superior side or inferior side.

15 So what we are comparing is we are arraying companies
16 essentially on the difference between actual costs and
17 expected costs under the model, and then whether or not
18 those differences are statistically significant one way or
19 the other.

20 If they are, then that's where the lines are drawn,
21 and that's -- I am not entirely sure where these results
22 come from, but this is not what we've done even on the
23 econometric model. The econometric model is looking at
24 significance, per se, and that is not what is reflected in
25 this slide.

26 So, again, I am not trying to be overly critical here.
27 I think this is an interesting analysis, but this does not
28 reflect the basis for the recommendation. Therefore, I

1 don't think it is an accurate reflection.

2 You cannot say that this -- that 30 percent will be
3 misclassified based on this analysis.

4 MR. SOMMERVILLE: Ms. Frayer.

5 MS. FRAYER: One thing I wanted to bring up, and I
6 don't want to spend too much time on it, but we also
7 submitted comments on the two benchmarking techniques, even
8 in the econometric model, since that was brought up as one
9 of the benchmarking analyses, because utilities are ranked
10 based on how they perform vis-à-vis a projection or an
11 expectation, to the extent that econometric model in and of
12 itself is not calibrated to represent all of the cost
13 drivers for that utility, that will make it wrong, too.

14 I just wanted to lay out that there is a lot of
15 potential avenues for -- by design, models are not going to
16 be perfect. There always will be measurement error. Our
17 concern here is that the measurement error or the potential
18 for it is so substantial that we want to be cautious,
19 because the distortions it creates could be quite
20 realistic.

21 MR. SOMMERVILLE: I hear all of you expressing caution
22 about the stretch factor exercise. I mean, I think Dr.
23 Kaufmann, you have, I think, frankly indicated that you
24 think we should be cautious about our entry into this
25 exercise --

26 DR. KAUFMANN: Yes.

27 MR. SOMMERVILLE: -- simply because it is the first
28 step and so on.

1 What I see are gradations of how we deal with that
2 uncertainty, and I hear another one from Mr. Thompson, who
3 is saying, you know, collapse the disparity between the
4 classes, if you like or between the cohorts.

5 So I see everybody basically saying they're a little
6 uncomfortable betting the farm on this particular
7 generation of stretch factors. Is that a fair assessment?

8 MS. FRAYER: Hmm-hmm.

9 DR. KAUFMANN: We don't want to bet the farm but own
10 on the other hand, I -- maybe an old cow, but...

11 [Laughter]

12 MR. SOMMERVILLE: I also hear, with the exception of
13 you, Dr. Yatchew, I sense that there is not a sense that
14 stretch factors are -- Ms. Frayer, you're not suggesting
15 stretch factors are inherently perverse in the same way
16 that I think Dr. Yatchew characterizes them.

17 I think he says, we really only have a role in a very
18 particular peculiar set of circumstances, and these aren't
19 those circumstances.

20 But I see you saying that you do support a, some kind
21 of productivity spur, but that it ought to be handled
22 carefully?

23 DR. YATCHEW: Who?

24 MR. SOMMERVILLE: I was asking Ms. Frayer if that was
25 an accurate characterization?

26 MS. FRAYER: I understand the basis for how the Board
27 intends to use stretch factors and I agree with them.

28 I would have had a preference for the stretch factors

1 to be centered around the industry average, which would
2 produce different levels. But I also want to accommodate
3 the Board's previous and firm decisions already.

4 I do have concerns that the spurt can't go on forever.
5 In fact there is lot of precedent that the spurts haven't
6 been 10, 15 years. There is precedence in Victoria
7 Electricity that Pacific Economics Group actually picked up
8 its own analysis a few years, a spurt of only four years.
9 It is very industry-specific and I just want to be very
10 cautious again that we are not sending the wrong message,
11 if you will, to the sector on where we want them to be.

12 DR. KAUFMANN: Julia, our 2007 reports in Victoria for
13 electric picked up another spurt. There was a big increase
14 in productivity for electric, just, again, to set the
15 record straight. It is not true that it ended -- that
16 after four years in Victoria for electric.

17 MS. FRAYER: But the spurts are measures of total
18 factor productivity which aren't necessarily correlated to
19 time in that instance, they're related to all the drivers
20 that drive TFP.

21 I think what you picked up was an increase in TFP
22 growth --

23 DR. KAUFMANN: Sure.

24 MS. FRAYER: -- but it may be driven by other factors
25 at that point in time.

26 DR. KAUFMANN: It could be but...

27 MR. SOMMERVILLE: That might be a concern more a
28 little down the road than it is right now for what we have

1 to do.

2 Dr. Yatchew, you deserve an opportunity to comment.

3 DR. YATCHEW: Thank you. You are always very fair.

4 I would just like to take a moment to clarify my views
5 on stretch factors, because they're not always --

6 MS. GIRVAN: Speak into the mike, sorry.

7 DR. YATCHEW: I would like to take a moment to clarify
8 my views on stretch factors for the simple reason that in
9 this kind of process, it is not always possible to layout
10 every single detail.

11 I think the initial rationale which I read out and
12 which is supported by my colleagues here, that stretch
13 factor is appropriate when you move from one regime to
14 another is the strongest rationale for a stretch factor.

15 There are additional layers of argument to that. Once
16 incentives, a new incentive scheme takes effect, it may
17 very well take time for the industry and individual
18 utilities to restructure themselves so they're taking
19 advantage of the new incentives that are in place.

20 That's part of the argument for non- -- not just one-
21 time stretch factors, but perhaps stretch factors that tail
22 off over time.

23 There is a second element there, and that is that
24 utilities respond in different ways and at different rates
25 to these stretch factors, and they not only take time, but
26 there is also this sort of capital replacement process that
27 has to take place.

28 So I can see the arguments for stretch factors over

1 some period of time. I just don't see that they are
2 justified in these kinds of magnitudes at this point in
3 time.

4 MR. SOMMERVILLE: Thank you. I appreciate that.

5 Ms. Girvan.

6 MS. GIRVAN: Just a couple of questions.

7 Ms. Frayer, you have on your slide 15 an analysis that
8 basically says: We recommend basing stretch factors on
9 applied lower and upper bounds.

10 I just wondered: Have you used this approach
11 elsewhere and --- or has this approach been used elsewhere?

12 MS. FRAYER: Well, in effect, what this approach goes
13 back to is a little bit of what Larry mentioned, that there
14 is a little bit of an art to it than a science.

15 And it marries what regulators actually view in
16 thinking about the art part of it, in that the stretch
17 factor is just one of two components. There's a stretch
18 factor and the productivity factor, and the two go hand in
19 hand and it is really the X factor, the level of the
20 overall X factor that regulators think quite a bit about.

21 MS. GIRVAN: But have you used this in any other
22 jurisdiction?

23 MS. FRAYER: No. Because in our -- well, I should say
24 yes and no, in the sense that when we have commented on
25 stretch factors, commented on the appropriateness of
26 stretch factors as a concept where there's been a vacuum of
27 no information regarding relative efficiencies, it has
28 really been in the context of, Well, okay, we measured this

1 point estimate of productivity but could productivity
2 growth historically been a little bit higher or lower and
3 in the future, could they achieve higher or lower
4 productivity? So in one sense, yes.

5 In the second sense, where we have been more
6 structured in recommending stretch factors based on
7 relative efficiencies, we have done it and we, meaning my
8 colleagues as well as my associative colleagues at Meyrick
9 & Associates, we have done it on the basis of more regular
10 rigorous relative efficiency studies.

11 MS. GIRVAN: Getting back to what I was asking about
12 this morning, I guess I am looking at what Dr. Kaufmann is
13 saying, is that you can look at this as sort of a benefit
14 sharing mechanism. So it is a way for ratepayers to
15 benefit up front. I think traditionally the Board has
16 viewed it as that.

17 In the absence of earnings sharing, I just don't
18 completely understand why you take exactly the same
19 position that you did before.

20 MS. FRAYER: Is this addressed to...

21 MS. GIRVAN: The two --

22 MS. FRAYER: Well, in fact, I think of the benefit
23 sharing aspect, again, to relate to the overall X factor.

24 So I believe ratepayers will get the benefits not just
25 from this stretch factor, but from the overall X factor,
26 because that is the amount by which rates will decline in
27 real terms over the 3rd generation IRM.

28 So again, we can't look at them in isolation. It's

1 not just, Oh, this is a stretch factor, we don't have ESM
2 so the stretch factor alone is the only element through
3 with ratepayers benefit. It is the stretch factor, plus
4 the productivity target.

5 MS. GIRVAN: Okay.

6 DR. YATCHEW: Can I --

7 MS. GIRVAN: Dr. Yatchew it is not clear to me how you
8 actually came up with those numbers. It looks like you
9 have sort of accepted that the Board has defined the need
10 for a stretch factor.

11 DR. YATCHEW: The Board has...

12 MS. GIRVAN: Defined the need for a stretch factor.
13 The Board has determined that. I am not clear how you came
14 up specifically with your numbers.

15 DR. YATCHEW: They're judgmental.

16 MS. GIRVAN: So you are sort of saying, If you are
17 going to give it, give it a small amount, but that's it.

18 DR. YATCHEW: Small amount in order to mitigate the
19 effects of misclassification, which can come from multiple
20 sources, not just the misclassification potential of
21 capital versus OM&A chart but from various sources.

22 Let me also, if I could take a moment to add on to the
23 response that Julia gave you a moment ago. There is a
24 discussion of consumer dividends and identification of
25 consumer dividends as being the stretch factor. I agree
26 with Julia.

27 The productivity factor itself, that is put into the
28 regulatory agreement in advance before any utilities have

1 recognized any savings. So before even -- and in some
2 cases they don't. And yet ratepayers are, on paper,
3 receiving those benefits in advance.

4 So I really do view the entire X factor, which are ex
5 ante unrealized productivity gains reducing the price of
6 electricity as being a consumer dividend.

7 MS. GIRVAN: Okay. The other question that I have is
8 really for Dr. Kaufmann, and you clarified this a little
9 bit earlier, but all of this talk about misclassification.
10 You responded a little bit, I think, to Dr. Yatchew's
11 comments. But it kind of troubles me that your analysis is
12 -- everybody is saying there is there is a lot of problems
13 with it because of the misclassifications.

14 So what I would say is: Why would we go forward with
15 that? So I just want you to respond.

16 I guess what I would say is maybe it is a starting
17 point. This can't be perfect. So maybe we should try
18 this. I just want you to respond, because there is a lot
19 on the record that is saying your analysis represents a lot
20 of misclassification, but yet some people are recommending
21 going forward with that.

22 DR. KAUFMANN: Well, I agree it is a starting point
23 and we can improve this over time.

24 But for the reasons I have said, I don't believe that
25 there really has been persuasive evidence put forth that
26 there is a great theory of misclassification evident in our
27 study right now.

28 Essentially, the argument that's being made in part is

1 an argument you could make about any type of benchmarking
2 study. Benchmarking will never be an exact science.
3 Economics is not an exact science.

4 But that doesn't mean that we shouldn't use the best
5 economic tools and the best benchmarking evidence that is
6 out there.

7 Again, we have implemented benchmarking and
8 recommended an approach to using that in a way that really
9 minimizes the potential for misclassification, because of
10 the fact that we want coincidence on two different
11 benchmarking results.

12 Again, if you look throughout the world where
13 benchmarking is used in many jurisdictions, that's not
14 typically the way it is done. Usually there is a
15 benchmarking study. The outcome of that benchmarking study
16 determines the stretch goal, and those stretch goals can be
17 8 percent. I mean, they can be very significant stretch
18 goals to get to -- to get companies to where regulators
19 believe rates should be.

20 We are not proposing anything like that. We are
21 taking a much more conservative approach, which I think is
22 appropriate, and I think the methods are also appropriate.

23 MS. GIRVAN: Okay, thanks. Those are my questions. I
24 think your friend wants to respond.

25 DR. YATCHEW: I want to respond, in addition. Dr.
26 Kaufmann has mentioned several times that there are two
27 measures here being used to try to assess efficiency of
28 firms, so there are two hurdles.

1 What I would suggest is that those hurdles are not --
2 those tests are not really that independent of each other,
3 because if I understand correctly, they both suffer from
4 the capital measurement issue.

5 MR. SOMMERVILLE: That's the point Ms. Frayer was
6 making a few minutes ago, the idea that the two measures
7 have the same flaw, in that sense. Is that the point you
8 were going to make, as well, Ms. Frayer?

9 MS. FRAYER: Yes. And I was it is hard for us to know
10 how big of a misclassification error there is, but I think
11 we all agree there is one. These are models by which there
12 is always going to be measurement error. Measurement error
13 in itself means that there is --

14 DR. KAUFMANN: All we know is there is a probability.
15 We do not know that any given firm is misclassified one way
16 or another. All we can say is probabilities. That is all
17 we can mention.

18 And if we're talking about potentially two companies,
19 two companies that -- you know, maybe there should be nine
20 in group I instead of 11. Maybe there should be nine in
21 group III rather than 11. I mean, that is okay. This is
22 not -- it's not perfect.

23 There are so many decisions in regulation where there
24 is not a perfect right answer, but I still think that, you
25 know, we've gone to pains to try to control for the
26 possibility of a bad outcome, an inappropriate outcome.

27 MR. VLAHOS: Sorry, just on that point, there is
28 always -- I guess there is always a statistical source of

1 misclassification. I think you probably, all three, would
2 agree with that. But is there anything specific, anything
3 idiosyncratic to this exercise we have now for the first
4 time, that would make that risk more troublesome for the
5 Board? That's my question.

6 So -- and, Dr. Yatchew, you went through four or five
7 different potential -- at least potential sort of sources.

8 So would those -- would you expect -- I guess they're
9 all here, but would you expect all of them to continue in
10 the future or are those temporary phenomenon, to some
11 degree?

12 DR. YATCHEW: First of all, statistical error is
13 always going to be there.

14 MR. VLAHOS: Right.

15 DR. YATCHEW: The misclassification error due to
16 capital versus OM&A models, that should improve once you
17 have moved to total cost benchmarking.

18 The measurement of the labour variable should improve
19 if you are able to get data on lineman rates. The
20 measurement of age of capital stock, which turns out to be
21 a very important variable, your ability to resolve that
22 issue depends very much on whether utilities can get
23 meaningful measures of the age of their capital stock.
24 They did collectively in the mid 1990s. Whether that is an
25 exercise that is going to be engaged in again, I don't
26 know.

27 There are certain inconsistencies that could be
28 resolved pretty quickly. For example, the rule that PEG

1 has put forth is based on -- as I read it, the implication
2 is it is based on an 80 percent confidence interval; hence,
3 my 20 percent type 1 error. That is not what they say
4 they're doing in their calibration document.

5 The calibration document says for each model, 90
6 percent confidence intervals were constructed around
7 distributors' OM&A costs, and then these were compared.
8 OM&A costs were compared to the predicted cost in
9 confidence levels.

10 So there is an inconsistency that could be resolved
11 immediately. That would, in turn, change the proportions
12 that are in the tails relative to those that are in the
13 middle.

14 MR. VLAHOS: Right. So in the long term -- I guess in
15 the long-term, the next generation or couple of
16 generations, we're only going to be left with the issue of
17 the statistical probability of being off?

18 DR. YATCHEW: I am sure there will be much debate
19 about the quality of the data, but if I might just add, I
20 think - and this is something I wrote in a paper eight
21 years ago in The Electricity Journal - that part of the
22 value of this process is that utilities that get -- find
23 themselves being treated inequitably will come forth with
24 that information and hopefully improve the nature of the
25 entire information set.

26 MR. VLAHOS: So your argument, then, given this
27 specific circumstances in 2008, you would argue for what
28 you are arguing? You may not feel as uncomfortable I guess

1 the next time around when we discuss the same issue.

2 DR. YATCHEW: In accepting higher stretch factors?

3 MR. VLAHOS: Yes.

4 DR. YATCHEW: That would depend statistically on how
5 we have done in the interim and whether we have under-
6 estimated productivity growth.

7 MR. VLAHOS: Then the issue will turn to the actual
8 data observed?

9 DR. YATCHEW: Yes.

10 MR. VLAHOS: Not to the potential errors of -- not
11 potential errors of misclassification.

12 DR. YATCHEW: To the extent these have been mitigated.

13 MR. VLAHOS: All right. Thank you.

14 MR. SOMMERVILLE: Mr. Harper.

15 MR. HARPER: Maybe we could start off -- I think my
16 questions spring out of some of the comments that you made,
17 Dr. Yatchew, and if the other two have anything to add, I'm
18 sure you will put up your hands and do so.

19 I guess it has to do -- when I first listened to the
20 issue around stretch factors, it seemed that there were
21 really two roles to stretch factors, and one was the one
22 that I think was the view that under a different regime
23 with more incentives, there may be a view that people may
24 be able to get higher levels of productivity, and there's
25 been some question -- there was a question to Dr. Yatchew
26 about how long you think that could continue for.

27 It seems to me that the second issue that's come up
28 within the context of this idea of having a stretch factor

1 is to recognize that firms have different -- are at two
2 different points in terms of improving their efficiency,
3 which seems to me is a fundamentally different issue than
4 having a stretch factor just because we think everybody is
5 going to be more incented to be able to define efficiency
6 improvements.

7 If people are at different stages in improving their
8 efficiency, then some people have more room to improve than
9 others. It seems to me that is the second aspect that the
10 stretch factor is trying to capture.

11 Does everybody agree that, you know, like, at a
12 conceptual level, we have two things we're trying to pick
13 up here with the stretch factor. One is, you know, sort of
14 the change to a different regime and perhaps people would
15 be more incented, and the second thing is trying to
16 recognize that there is difference levels of efficiency
17 that exist right now and, therefore, people may have
18 different opportunities. And even if there was no stretch
19 factor for the first reason, you could still think of
20 having different stretch factors for the second reason, at
21 least at a conceptual level.

22 Is that a reasonable way to think of that?

23 DR. KAUFMANN: I believe so. I think what you're
24 saying is the first of those issues really has to do with
25 the mean stretch factor. That is kind of what you would
26 expect on average because of the transition.

27 Again, it is not -- the transition, the impact of the
28 transition on TFP growth can persist for many years. So

1 that's the first issue, is the impact of that transition on
2 the mean growth.

3 The second one has to do with the differentiation
4 where you start out relative to average efficiency trends
5 in the industry, it's going to impact your ability to
6 achieve incremental TFP trends. So that is kind of the
7 differentiation relative to that mean, and you can have
8 group I, and how much different group I is relative to the
9 mean, how much different group III is relative to the mean.

10 MR. HARPER: Is it fair to characterize, say, I mean
11 you, Ms. Frayer, and Dr. Yatchew, that your sort of view of
12 zero at the bottom and the small difference is the fact
13 that while we're concerned about whether we're picking the
14 mean or that's the bottom of -- and that's why you have a
15 stretch factor of virtually zero or for them or it is zero
16 for them, and then fairly small increments I guess in part
17 because of the concerns about the data and being able to
18 determine how much additional efficiency we think -- we
19 contribute to the non-efficient utilities simply because of
20 the quality of the data we're dealing with.

21 DR. YATCHEW: Yes. Then there are the other elements
22 I mentioned, one of them being we arguably have been in a
23 long-term regime of some sort of yardstick competition, and
24 in addition, incentive regulation. The third element that
25 I haven't mentioned and sort of the conceptual analysis
26 that one might want to do is, in analyzing stretch factors,
27 is what are the new incentives being put in place by this
28 regime, by this particular report relative to what we had

1 yesterday and relative to what we have had over the last
2 several years?

3 There are some new incentives or, let's say, elements
4 that will assist utilities. One of them being a well
5 defined three-year term. In the prior regime it was a very
6 short term. Now at least it is medium term which allows
7 utilities to harvest some of their gains and, therefore
8 they have a greater incentive to define those gains

9 Again, returning to the conceptual question. What are
10 the additional positive incentives in today's regime versus
11 the flavour that we had yesterday, versus the one that we
12 had five years ago and so on?

13 MR. HARPER: Well, I would like to maybe -- Dr.
14 Kaufmann then you talked about whether it is 90 percent
15 confidence interval or 80 percent confidence interval.
16 What I was trying to get a handle on is you looked at what
17 was the forecast OM&A level, then they had to be outside of
18 the confidence level.

19 Now, in percentage terms, how much would have the OM&A
20 have to have varied from the forecast OM&A in order for you
21 to get outside of your confidence interval, whether 10
22 percent higher or lower than forecast, 20 percent higher or
23 lower than forecast. In percentage terms, how much does
24 the OM&A have to differ from the forecast number before it
25 tripped outside of your confidence level?

26 DR. KAUFMANN: That differs by company.

27 The confidence interval is going to be specific to any
28 given company, for example, where they are relative to the

1 mean. I mean as you get farther from the mean, as any
2 given company gets more and more of an outlier the
3 confidence levels expand to reflect that. There are a
4 number of factors that go into the confidence interval so
5 there is no one correct answer to that. It varies company
6 by company.

7 I don't recall the exact -- I can't even give you an
8 average figure in this particular study because this wasn't
9 my study. I wasn't involved with the details of it.

10 But a typical total cost study of the type that I have
11 done in the past it is usually about 10, 12 percent. So
12 there's a range, you know, the confidence intervals usually
13 range around that. If your actual costs are 15 percent
14 below predicted, then in most cases you are going to be a
15 superior performer.

16 MR. HARPER: I will tell you the reason I was asking
17 was, we have been talking about, you know, people talking
18 about they want to use a fairly small number because
19 they're uncertain about what is the amount that can be
20 achieved.

21 I was thinking from the other perspective and
22 thinking, if I have a, let's say, 15 percent difference
23 between somebody at the bottom and somebody in the middle
24 and I take a very long-term total capital turn over 40
25 years, but I forget the compounding and I think if I am
26 going to increase that difference by 15 percent over 40
27 years, what's that, about .25? You know, .255 a year? You
28 know which would say okay maybe that would mean a .25

1 difference, but then I want to maybe conservative -- I was
2 trying to get a sense for if I was just doing this from the
3 other end and saying what would be the -- what would be a
4 number you might expect if people were to move to that over
5 40 years being the longest time you would use, because that
6 gives you a total opportunity to change over all of your
7 capital, what is the upper range you would then want to
8 maybe sort of judgmentally reduce the number by a little
9 bit because we're uncertain about the data?

10 I would just like you to maybe comment on that as a
11 perspective.

12 MS. FRAYER: What I wanted to -- maybe this is not
13 answering your question, but maybe it would help me
14 understand the question a little bit better. I wanted to
15 give a real world example of what we're talking about in
16 terms of the distortions.

17 Let's take a utility that ranks really well on OM&A
18 study. Maybe that it is ranking really well was that
19 utility decided that that transformer it is going to
20 replace that transformer with a new transformer. With a
21 neighbouring utility that has a same transformers has
22 decided that, no, I am not going to replace it a new
23 transformer I am actually going to refurbish that
24 transformer so its recorded OM&A goes much higher than its
25 neighbouring utility but that is because it made a capital
26 labour trade-off decision, a very intentional one, that is
27 not being represented in the model.

28 MR. HARPER: Excuse me. That is the reason why you

1 would discount and I guess all of you have said to some
2 extent we have to discount and be conservative going
3 forward. That is one reason you would discount. I accept
4 that. I am trying to get a sense of what am I discounting
5 from? If I had a perfect world like -- and I knew what
6 that number was, and it was -- like I said, it's going to
7 .25 or higher if I think I can get to my efficiency in more
8 or less than 40 years, I would then discount the number
9 down. I accept your point that is a reason for
10 discounting. But I am discounting from something. And I
11 guess that is what I was struggling with.

12 MS. FRAYER: My response is, if you had a robust
13 comprehensive total cost benchmarking study, you would
14 actually be able to look at the -- not just the ranking
15 because right now all we have is ranking, we put one before
16 the other. We're not looking at relative efficiency
17 levels, but my response is in a future once you do a very
18 good study you look at the relative efficiency levels and
19 you determine how quickly you want -- the ones who are
20 lagging behind to catch up. That's when we know the
21 number. It is an empirical question that could be answered
22 that way.

23 MR. HARPER: That's what I was wondering.
24 Conceptually I wasn't thinking about the wrong way, it's
25 just we don't have the data to fill out the model right
26 now.

27 DR. KAUFMANN: I was just going to see, I am not sure
28 if I understand your question but let me see if I can

1 rephrase it to see if in is what you were driving at.

2 Are you saying: Is there a way that we can use the
3 results of the -- of an econometric benchmarking study to
4 set stretch goals?

5 MR. HARPER: Yes. I guess that, to some extent, is
6 what I was trying to say.

7 DR. KAUFMANN: Okay. So I think the answer to that
8 is, yes.

9 For example, what you could do is you could say -- and
10 this would be a much stronger application of benchmarking
11 results than what we had. But you could say, let's say we
12 do a benchmarking study, total cost benchmarking study. We
13 rank companies from top to bottom in terms of the
14 difference between their actual and predicted costs and we
15 have that in terms of percentage.

16 Let's say that what we want to do is we want to
17 establish a standard, and we want to have an upper quartile
18 standard so we want all companies to move towards an upper
19 quartile standard. Let's say the upper quartile company is
20 something like 20 percent below. So the difference between
21 their actual cost and predicted cost is 20 percent below.
22 Now we want all companies to move towards that standard
23 over some number of years.

24 So you could actually take that result, that is your
25 long-term standard. You could look at where companies are
26 right now. Let's say a company's cost is equal to their
27 predicted costs right now. You want them to reduce 20
28 percent from now and let's say 10 years so you could have a

1 stretch goal of 2 percent.

2 That's a big number --

3 MR. HARPER: Yes. If you are uncertain about the data
4 now, you might say, Well, 2 percent is maybe a little --
5 this is why I was trying to get into the second round we
6 have people here concerned about the data. That number,
7 whatever the right number is, we will have to approach a
8 little bit of caution and use something a little bit less
9 than that right now because we are uncertain of the quality
10 of the data we are deal with and issues like that.

11 DR. KAUFMANN: Qualities of the data is a different
12 source of uncertainty, but the model itself can quantify --
13 it does pick up the uncertainty to some extent with the
14 data. It does pick up the data variability that, is
15 reflected in the benchmarking, that is in the confidence
16 interval, but not entirely because you still want to get
17 the data right.

18 But it does reflect that to some extent, and I think
19 that is one of the benefits of using econometrics, is that
20 you do get more certainty around that and you can use that
21 as a basis for setting goals in the long run, that you have
22 more confidence or attainable as opposed to something where
23 it is just more, you can't distinguish between real
24 performance gains versus random error.

25 MS. FRAYER: Larry, just to confirm. You said in this
26 illustration or this discussion of illustrative numbers,
27 what I heard, and the key for me was it was a total cost-
28 based econometric --

1 DR. KAUFMANN: We all know that that is where we want
2 to go.

3 MR. HARPER: Okay. Ms. Frayer, if we could go to
4 slide 15 on yours which I guess is where you were coming up
5 with your, using the three different -- using three
6 different, the four different methods and coming up with a
7 range.

8 Maybe I can express to you a bit some reservation I
9 had with the approach you took and you could maybe see
10 whether I am right or what the error is and my concern.
11 Each of these four lines represents really a different
12 methodology, if I could put it that way, or different
13 combinations of methodologies to estimate total factor
14 productivity?

15 MS. FRAYER: I think different scenarios primarily in
16 the range is driven by different views on what happened in
17 the missing years' period and different views on what's
18 happening in the near term.

19 MR. HARPER: Yes. But each of those lines is really
20 an amalgam of looking at -- it is the average over all of
21 the utilities in each case. That line is an average. It
22 is not an analysis over --

23 MS. FRAYER: Industry average.

24 MR. HARPER: It's industry average. I guess what
25 struck me is that rather than comparing three industry
26 averages, what we're trying to do with the stretch factor
27 is identify what's the variation around any one of those
28 particular lines. And to the extent there is a variation

1 around any one of those lines, going to my second view of,
2 you know, you're trying to get people to move to being --
3 look like more superior performers, you are trying to get
4 the people who are below the line and say they should be
5 trying to move up to at least the line or above the line.

6 So I wasn't too sure of whether the analysis you did
7 here was -- honestly, was telling me at all anything about
8 what was the appropriate stretch factor to be done, which
9 would look more at what is the variation around each of the
10 individual lines.

11 MS. FRAYER: Well, we don't have any -- unfortunately,
12 we don't have information about the relative efficiency
13 levels, because, again, if we did -- that's the analysis
14 that I described at least qualitatively that I would prefer
15 we would have done.

16 So stepping back, my underlying concern was: What
17 confidence do we have that we are setting -- knowing we
18 need to set stretch factors, because that was one of the
19 fundamental objectives and the question the Board posed to
20 us, the next question was: What confidence range do we
21 have about where overall X factor should lie for the
22 future?

23 MR. HARPER: That really goes to -- if you go to my
24 first question, which was there is two components that
25 we're trying to identify in the stretch factor. What
26 you're doing here is really just identifying what is the
27 possible range around what's a reasonable stretch factor
28 based on the average, not based on looking at relative

1 efficiencies.

2 MS. FRAYER: Again, it is due to the fact that we
3 don't have the data.

4 MR. HARPER: Right. So to some extent, it is only
5 giving me half of the answer, if I can talk about it that
6 way, as opposed to the whole answer.

7 MS. FRAYER: Well, it's giving me -- it is looking at
8 the final answer, the X factor that you want, which is
9 composed of two parts, the stretch factor and productivity
10 factor.

11 MR. HARPER: That presumes that the X factor doesn't
12 take into account the fact I am trying to move the least
13 efficient up to look like the more efficient, which is the
14 variation around the line. I guess that is the point I was
15 trying to get at.

16 MS. FRAYER: The X factor is based on an industry
17 average by definition. So --

18 MR. HARPER: But the stretch factor, what we are
19 trying to do is move people to be better than the average,
20 I thought.

21 MS. FRAYER: Well, in effect, what we're saying is we
22 are pushing people to be better than the average with the
23 stretch factors we are recommending, but we don't want to
24 push them too hard that we're basically running into a
25 level of X factor that we think is just untenable, because
26 we don't have the basic tools that we need to do a better
27 job at classifying firms and incentivizing them.

28 We are more likely to do harm than good in distorting

1 incentives. So it is more of, like, a cautious tale, if
2 you will.

3 MR. HARPER: Thanks. Those are all of my questions.

4 MR. SOMMERVILLE: Mr. Aiken, how long do you think you
5 might be?

6 MR. AIKEN: Zero minutes.

7 MR. SOMMERVILLE: Zero minutes? That is genuinely
8 efficient.

9 [Laughter]

10 MR. HARPER: Cohort 1.

11 MR. SOMMERVILLE: Are there other questions on this
12 subject matter?

13 MR. VLAHOS: Dr. Kaufmann, could you just clarify? I
14 know you spoke to this before, the other day, but I guess
15 slide 34, when you -- you described group I as
16 significantly superior, and then group III as statistically
17 inferior.

18 It's not a typo, is it? You spoke -- I think you
19 spoke to the difference in those two.

20 DR. KAUFMANN: Those are -- it is a typo.

21 MR. VLAHOS: It is a typo?

22 DR. KAUFMANN: Superior means statistically --

23 MR. VLAHOS: Okay. So I should change to what?
24 Statistically, I guess; right?

25 DR. KAUFMANN: Yes, statistically.

26 MR. VLAHOS: I would appreciate the views of all three
27 presenters. I know Mr. Shepherd is not here to answer this
28 question. On my notes, he had noted in his presentation,

1 in support of his recommendations for the stretch factors,
2 he linked the materiality under the Z factor to his
3 recommendation for a stretch factor, i.e., 0.5.

4 My note here was the materiality, with respect to the
5 Z factor, is an exogenous factor and has little to do with
6 incentive that the stretch factor purports to attain.

7 So do you have any comments on that, any of the three
8 of you?

9 DR. KAUFMANN: Yes. It is -- his argument was that we
10 -- ultimately, what you want to do is you want to get the
11 company's attention. You want this stretch factor to be
12 big enough to motivate real changes in behaviour.

13 He is saying there is some evidence in the IR decision
14 about how big that number has to be for something to be
15 worthwhile of special management attention, I suppose is
16 the way he put it. I think that is an interesting
17 argument, but I do think the difference -- that there
18 really is a difference between the costs -- the way I see
19 it, that materiality threshold is really designed to reduce
20 regulatory costs and reduce burdens on staff as opposed to
21 something that's focussed on management attention, per se.

22 So I think that it does serve a different purpose, and
23 it is not really linked directly to getting management's
24 attention to change operations. It is more just to prevent
25 frivolous violence and the costs associated with it.

26 MR. VLAHOS: Ms. Frayer, you want to say something?

27 MS. FRAYER: What I wanted to -- it was interesting
28 when Jay was speaking, I was thinking through about this,

1 because I understood the precedent from the Z factor
2 perspective. But I think a couple of points here need to
3 be made that distinguish this apples and oranges
4 comparison, the first point being that the Z factor is
5 supposed to be representing uncontrollable costs.

6 MR. VLAHOS: Right.

7 MS. FRAYER: What we're talking about here is setting
8 an overall X factor for costs that management can control.
9 So really it is apples and oranges in terms of comparison.

10 The other point to make, also, again - and it is kind
11 of a theme now from the last 30 minutes of conversation -
12 is if point 5 percent is supposedly the right number, well,
13 then it should be 0.5 percent as the X factor that is the
14 right number, because the stretch factor is just one
15 component of X factor.

16 So the stretch factor is just a component of the X
17 factor. You also have to consider there is that
18 productivity target. So I think, again, it is an apples-
19 to-oranges comparison, because the utilities will be
20 working towards the overall productivity factor -- sorry,
21 the overall X factor that it set. They will be trying to
22 achieve that.

23 They won't just be achieving the stretch factor or, in
24 that regard, the productivity factor. They will be trying
25 to meet the overall productivity objectives the Board sets
26 for this.

27 DR. KAUFMANN: Can I respond to that, because this is
28 an idea that is really central to incentive regulation.

1 I think you are confusing the role of productivity
2 factor and the stretch factor. It is a fundamental tenet
3 of setting the terms of incentive regulation plans that
4 what you're doing is you're departing from conventional
5 cost-of-service regulation, which is cost-based, and the
6 idea is that if you want to put a company on automatic
7 pilot, in a sense, where their rates are going to be set by
8 a formula rather than cost, you have to satisfy the just
9 and reasonable standard.

10 The productivity factor is designed to satisfy that
11 standard. It is not designed to be a benefit-sharing
12 device. So it has not traditionally or conventionally been
13 interpreted as something that shares benefits. It is
14 something that is used to adjust rates in a manner that is
15 just and reasonable without having cost reviews year by
16 year.

17 The second component is designed to reflect the
18 expected acceleration relative to history. So I think it
19 is important not to confuse those issues. I know I differ
20 with my colleagues on that, but, again, you can look at
21 almost any incentive regulation decisions that have
22 considered this in any detail and I think they spell out
23 that framework and the paradigm pretty clearly.

24 MS. FRAYER: But in the end, you still want just and
25 reasonable rates. Just because you are adding a positive
26 stretch factor doesn't mean that you are going to be
27 departing from just and reasonable rates.

28 DR. KAUFMANN: No.

1 MS. FRAYER: And to keep in mind, the utilities aren't
2 just going to worry about the stretch factor or the
3 productivity factor. They're going to be trying to achieve
4 productivity gains on the overall X factor so they get back
5 to their allowed rate of return, because, in effect, if
6 they're just focussing on one component, they are not going
7 to achieve their allowed rate of return.

8 MR. VLAHOS: I think we're moving away from the intent
9 of my question. I just wanted to give some reason for Mr.
10 Shepherd to make his submissions tomorrow so he won't be
11 surprised if there is opposition to his proposal.

12 So I think we accomplished that.

13 MR. SOMMERVILLE: We will take 15 minutes at this
14 point. When we come back, we will start presentations on
15 the capital module threshold and we will start with you,
16 Dr. Kaufmann, when we come back.

17 We will reconvene at 25 minutes after 3:00.

18 --- Recess taken at 3:05 p.m.

19 --- On resuming at 3:25 p.m.

20 MR. SOMMERVILLE: Thank you.

21 Thanks. Just a little announcement. It looks as
22 though we will have no difficulty in wrapping this up by
23 noon tomorrow. So those of you who have travel
24 arrangements to make, can make them confidently, with the
25 noon departure in mind.

26 To that end, we need to move on now to the capital
27 module threshold and, Dr. Kaufmann, you are leading that
28 off.

1 DR. KAUFMANN: Thank you.

2 MR. SOMMERVILLE: I beg your pardon. Mr. Cowan, you
3 are leading that off.

4 MR. COWAN: Yes, indeed. Thank you, that will give
5 Dr. Kaufmann something to refer to in his remarks, in a
6 moment.

7 The question, as stated in the material in the Board's
8 report is: What is an appropriate capital expenditure to
9 depreciation threshold value to determine materiality?

10 So I propose to walk through this, from the
11 perspective of establishing some ranges of possibility in
12 order to try to illuminate what Board Staff sees as some of
13 the dimensions that need to be taken into account.

14 I propose to do that by addressing four things as
15 explained on this particular frame.

16 Page 3 of the material, and hopefully put a bit more
17 flesh on the bones of what a materiality threshold might
18 look like.

19 We will look to some of the background material,
20 explain some components in the staff analysis that we have
21 done, and perhaps provide an illustration then of how those
22 components might be applied showing the implications of
23 choosing a threshold at various selected levels in order to
24 give the panel something to work with.

25 The next frame being slide 4, goes through the
26 background and quotes, although a little bit in abbreviated
27 form, what was stated in the Board report.

28 "The Board has determined that there will be an

1 incremental capital module in 3rd generation
2 incentive regulation. For incremental capital
3 expenditures to be considered for recovery prior
4 to rebasing, amounts must satisfy the eligibility
5 criteria set out in table 5..."

6 Which is actually provided on page 5 of this material
7 for your reference. I won't go through those in detail.
8 But then going back to page 4, the third bullet:

9 "The eligibility of a distributor to apply for
10 rate relief through the module will be subject to
11 a materiality threshold. However, the Board
12 would be assisted by further consultation on the
13 appropriate materiality threshold..."

14 So the key here is that once a utility passes some
15 eligibility criteria, in terms of a threshold, it would be
16 then in a position to apply for rate relief with respect to
17 capital expenditures.

18 The last bullet here: "The Board has also determined
19 that there will be an annual reporting on actual capital
20 spending and a prudence review at the time of rebasing."

21 So on page 6, we have taken a few moments to
22 characterize what we see as the potential major components
23 in calculating a threshold.

24 The items A and B under the "materiality threshold"
25 are two numbers that are needed for this particular
26 illustration to work.

27 Item A is the average of the three most recent fiscal
28 years' actual net capital spending, and to be specific, it

1 is the addition to in-service property plant and equipment,
2 minus third-party capital contributions.

3 So that's what we mean by "net capital spending"
4 averaged over the three prior fiscal years.

5 The second number that is required is the most recent
6 year's depreciation expense.

7 Then item A is expressed as a percentage of item B; in
8 other words, the average capital spending is expressed as a
9 percentage of the depreciation expense, and that, then,
10 results in item C under the materiality threshold.

11 That percentage is then compared to some threshold
12 number which we have used X for purposes of this
13 illustration, and if the percentage C actually exceeds the
14 threshold X, then the entity is eligible to apply to the
15 Board.

16 In the application that that party might well make,
17 one would expect that they would demonstrate that the
18 criteria in table 5, previously referred to, were met, and
19 that the incremental revenue requested would not be
20 recovered through other means.

21 That is not spelled out in the table, but I think it
22 goes without saying that you do not want the utility to be
23 double-counting.

24 And sources that might give rise to other means of
25 recovery would be such things as customer growth or
26 potentially capital contributions from third-party
27 developers.

28 So on the next slide, page 7, the components that seem

1 to us to logically relate to being included in some way in
2 the materiality threshold are basically, we have attempted
3 to list them here. And we have started with a base number
4 of 100 percent to represent the fact that there is already
5 a depreciation value in the revenue requirement that has
6 been established in the rebased year for the entity.

7 So if one regards that number as the starting value of
8 100 percent, then we are suggesting that there are two or
9 maybe three -- but two clear, to us -- two adders that need
10 to be considered.

11 You will see a little asterisk at the bottom that
12 suggests that customer growth would be considered
13 separately and I will comment on that more fully in a
14 moment.

15 Let me zero-in on items 2 and 3 here for a moment.
16 Double X percent, which is intended to be -- to recognize
17 that whatever IRM 3 escalator is chosen for a particular
18 utility, if that amount is positive, it will automatically
19 provide new money that could be used to fund incremental
20 capital expenditures.

21 So by virtue of there being, say, an amount, I am
22 going to use an illustration in a moment of a 1 percent
23 escalator after we go through all of the productivity and
24 stretch factor calculations, if the resultant number after
25 taking inflation into account came out at 1 percent, we
26 will have a look and see what the effect would be, and what
27 we're suggesting here is that there is automatically some
28 number that will be derived from that that will be

1 available for funding the return on and return of new
2 incremental capital.

3 So that's what item 2 is all about, and we will
4 illustrate the math for that in a moment.

5 Item 3, the inflation adder. This is to try to
6 recognize the fact that depreciation represents the
7 allocation of costs that were incurred in many cases a long
8 time ago, so the dollars of those years are not
9 representative of what it would cost if one were trying to
10 use the depreciation number as any sort of proxy for what
11 it would cost today to replace an asset.

12 So if one was to attempt to find a reference number, a
13 threshold above which you could say that a utility was
14 experiencing excessive or unusually high capital
15 expenditure demands, you would want to try to bring the
16 dollars into the dollars of the year as opposed to
17 accepting the depreciation number as anything more than a
18 incidental piece of information.

19 So to make it useful, one needs to bring it into
20 dollars of the year.

21 I will comment on ZZ, item 4, "other" shortly. So
22 let's zero-in for a moment on the XX factor here, item 2,
23 and determining that particular value.

24 So as I said before the IRM 3 escalator already
25 provides dollars to fund new capital expenditure, because
26 depreciation and return on rate base are already in the
27 base year costs.

28 I have pulled here for you numbers that are the

1 summary numbers, the provincial totals for all of the
2 electricity distributors as recorded through the RRR and
3 posted on the Board's website and contained in the
4 statistical yearbook that I think has received a fair bit
5 of currency over the last couple of years.

6 In particular, from the year book, you would see that
7 the total depreciation expense in 2006 for all Ontario
8 distributors was \$676 million.

9 You would also be able to determine that the
10 approximate weighted average cost of capital return, if you
11 like, at 7 percent, could be applied to the rate base
12 number, the proxy value that we have used, and we drew this
13 also from the statistical year book by saying, Well, what
14 is the net book value of the property, plant and equipment,
15 as reported?

16 Add that up for all of the utilities. It comes to 9.5
17 billion, and then apply the weighted average cost of
18 capital that was approved for 2007 as an approximate value
19 of 7 percent.

20 I can decompose how we got the 7 percent, but just
21 suffice it to say we used 8.57 percent for the return on
22 equity, and an equity thickness of 40 percent equity and 60
23 percent debt, with 4 percent of that attributable to
24 preferred shares.

25 So if one applies 7 percent to the rate base of 9.5
26 billion, you can see that in the underlying revenue stream
27 that has gone to the utilities, 667 million of it can be
28 attributed to the returns that would have earned on their

1 rate base.

2 The tax effect of the equity component of that return
3 is a further 144 million. If you add those three numbers
4 together, you will find that it comes to -- and I apologize
5 for not having put a little line in there to show it is a
6 total, but the figure 1,487 million is the total of those
7 numbers above.

8 And if you look at the total revenue in -- the
9 distribution revenue in total in Ontario, you will find
10 that that represents more than half, 57 percent of the
11 total distribution revenue.

12 As an aside, this is an interesting affirmation that
13 total cost -- total productivity analysis has -- definitely
14 the right way to think about the utilities, because capital
15 costs are a dominant component of what appears in the
16 actual costs of operating a utility.

17 So that's an aside. Perhaps we can ignore it, but the
18 next point, then, is if the IRM 3 escalator is 1 percent,
19 as I suggested might be a possible number a moment ago,
20 there will be automatically \$15 million more to fund new
21 capital-related costs. And I get that by taking 1 percent
22 and applying it to the 1,487 million that we determined a
23 few moments ago.

24 And then one can say, Well, how much -- or ask the
25 question: How much would that incremental \$15 million
26 support by way of new capital expenditures? And you can
27 get at that by saying, Well, all right, let's work
28 backwards. The average depreciation rate is 4 percent, and

1 that is supported from the statistical year book, and
2 actually I show the detail of how the 4 percent arose on
3 the next slide.

4 But if you just take that as given for a moment, then
5 that, plus the weighted average cost of capital of
6 7 percent, means that \$15 million of new money in rates
7 would support \$136 million of new capital expenditures. At
8 15, I show how the division works there to give you the
9 \$136 million.

10 Now, if you step back and you say, Well, all right, so
11 we have given ourselves a calculation that shows that a
12 1 percent increase would produce -- support potentially 136
13 million of new capital expenditures, that can be observed
14 to be approximately 20 percent of the annual depreciation
15 that we were referring to earlier, simply by dividing 136
16 by 676 million for the depreciation number.

17 So there is not a control link between these. It is
18 an observed statistic simply to say that when all is said
19 and done - and I have summarized it at the bottom - a
20 1 percent IRM 3 escalator provides enough new money in
21 rates to fund new capital expenditures equivalent to about
22 20 percent of depreciation expense.

23 Now, if the escalator were 2 percent, we would find
24 ourselves able to fund approximately 40 percent of new
25 CAPEX to the extent of approximately 40 percent of the
26 depreciation amount.

27 So I am going to move us now, if I could, a few slides
28 ahead to number 11, which is the illustrative application

1 of the components, just so we can keep track of what we are
2 -- or what I am describing here.

3 You will see on this table that I have started with a
4 base value of 100 percent, and then I have shown ranges of
5 potential values and I am building it up. We will talk
6 next about the inflation factor of 50, but you will see
7 here that the amount arising automatically from the IRM 3
8 escalator is -- at 1 percent is 20 percentage points
9 associated with the base depreciation.

10 At 2 percent IRM 3 escalator, it would be a 40 percent
11 equivalency with regard to the underlying depreciation.

12 So let's go back again now, and we have finished
13 describing the IRM 3 escalator on frame 8, and I propose
14 just to walk through some analysis that we have done to
15 attempt to proxy value the depreciation by bringing it into
16 dollars of today.

17 This is on page 9. So the inflation adder here has
18 taken into account the notion or the observation that the
19 average age of the property, plant and equipment in Ontario
20 is 25.3 years. That is derived, again, from the
21 statistical year book that shows that the total gross
22 plant, property plant and equipment is 17-and-a-bit-billion
23 dollars.

24 We know that the total depreciation expense is \$676
25 million. So one can then conclude that that \$17 billion
26 worth of property, plant and equipment is being burned off
27 annually through the depreciation expense at the rate of
28 676 million a year, and it will take 25 years -- 25.3 years

1 to fully retire it at that rate.

2 One could express that as a percentage, and it is just
3 under -- and I rounded it to 4 percent depreciation per
4 year.

5 So you will recall in the previous slide that I had
6 asked you to take on faith the notion that the average
7 depreciation rate is 4 percent, and I would suggest that
8 this introductory piece that I have just given you here
9 gives you the reason that we used 4 percent.

10 Now, just to re-emphasize the point, though, the
11 second bullet says that the depreciation reflects the
12 dollars of the years the assets were placed in service, not
13 current replacement dollars.

14 So we have made an effort to try to bring the value of
15 those historical dollars into current dollars and done it
16 this way.

17 If you assume that the utility asset base is
18 relatively stable, which is not a terribly precise
19 assumption, but I think reasonable for purposes of what
20 we're doing here. If you assume it is relatively stable -
21 in other words, new assets are being added at about the
22 same rate that old assets are being retired - then at any
23 given year in a stable environment such as that, any
24 particular asset that you might choose is likely 50 percent
25 consumed at any point in time.

26 So that would suggest that the average asset is,
27 therefore, at its half life or 12.6 years old. And I have
28 taken 25.3 and divided by two to get 12.6.

1 So that is to say that if you are going to replace the
2 average asset, that perhaps the way to bring the dollars to
3 the dollars of today is to inflate them at CPI over a
4 period of years. The question then is: Well, what period
5 of years?

6 So what we did is we obtained the information, the CPI
7 change, Canada and Ontario, over 25 years from Stats Can,
8 and I have given the table, I think, on page -- yes, page
9 13, where I have quoted the data points that came to us
10 from Stats Can.

11 If you look quickly at page 13, the first two rows of
12 data are the ones that came from Statistics Canada.

13 And if you then express the growth over that period as
14 an index, you find 233 and 237.6 percent respectively for
15 Canada and Ontario. And then if I could spell equivalent
16 correctly, please insert an "I" in there, but the
17 equivalent annual compound rate that would give you 235
18 percentage points over 25-1/2 years is 3.25 percent.
19 That's the compound rate underlying that rate if you were
20 to assume linearity in terms of the rate.

21 If you then -- I am suggesting that that is a
22 reasonable approach to take, because any given asset is
23 somewhere on the curve from time zero or the first year, 25
24 years ago, somewhere on that curve, and so I have suggested
25 that a linear compounding is as reasonable as one could
26 probably justify.

27 If you begin at the 12-and-a-half-year mark and
28 inflate at three and a quarter percent per year, you hit

1 49.1 percent as that effect of a 12-1/2 year compounding at
2 3-1/4 percent.

3 So if I can take us back for a moment to page 9. You
4 will see that on the second last bullet, that I am
5 suggesting that if replaced today, inflation at CPI would
6 have eroded the purchasing power by 49.1 percent over 12-
7 1/2 years of a 25-year time span which is equivalent to
8 approximately 49.1 percent.

9 And then, in the final bullet, that escalation of
10 depreciation today by approximately 50 percent would bring
11 -- or 49.1 if you want to be more precise -- would bring
12 the depreciation value to an approximate current dollar
13 value.

14 This is how we derived the number that appears on
15 slide 11 for the inflation adjustment.

16 I will just go back again, now, to slide 10 because we
17 did comment earlier that there could be other factors and
18 uncertainties that affect the calculation of the threshold
19 based on historical costs.

20 Those include such things as the accuracy of an
21 assumption that the escalation factor will be about 1
22 percent.

23 You will recall that I showed what the effect would be
24 if it was 2 percent, the accuracy of the other estimates
25 that are in here. The assumption of stability and a stable
26 utility environment where the rate of retirement is
27 approximately equivalent to the rate of addition of new
28 assets. The historical uplift in the prices for capital

1 works, in addition to inflation; in other words, there's
2 market forces that apply to the price of steel, the price
3 of copper, that go beyond simply inflation. This
4 methodology doesn't attempt or doesn't factor those in.
5 Nor does it recognize that the manufacturing techniques for
6 building transformers or lines or poles may well have
7 advanced over a period of 25 years, such that hopefully the
8 more efficient processes are in place.

9 Hence, in our table right at the beginning we have
10 said: Leave room for ZZ "other." We have not found a way
11 or a means by which those could be particularly quantified.

12 So from Staff's analysis perspective, we see that it
13 is easy to speak to a range of values that we believe are
14 characterized on slide 11 of the order of 170 percent of
15 the depreciation would be a threshold beyond which one
16 could expect a utility to be in a position to argue that it
17 had unusually high demands for capital and, therefore,
18 ought to find a way to come before the Board to seek relief
19 through the capital module. 170 I picked, but I could
20 easily have said 190.

21 Indeed, in the remaining frame, you will see that we
22 have done some analysis of what the implications would be
23 as to how many utilities would be captured under three
24 different levels of this threshold, whether it was chosen
25 as more than 200 percent, more than 180 percent, or more
26 than 150 percent, the numbers of utilities that would, in
27 fact, be eligible if we were to apply the little math that
28 we suggested right at the beginning, which is to take

1 three-year average in the one case -- which is the middle
2 column -- three-year average capital expenditures compared
3 to depreciation, and in that middle cell it says ten that
4 would have capital expenditures that exceed their
5 depreciation by more than 200 percent.

6 It happens to be the same number -- although different
7 utilities -- that would be triggered if you were to use
8 single year capital expenditures, namely 2006.

9 The "ten" distributors out of a population of 83 is
10 credible, that you would -- I don't want the numeric
11 illustration here to overwhelm the idea about trying to
12 choose the threshold using a rational approach I am simply
13 attempting to illustrate what the implications are about
14 making the choice.

15 We have also noted there are four of those utilities
16 that have a customer growth rate greater than 2 percent.

17 The particular utilities that are affected and are the
18 ones that are driven into these numbers are listed on page
19 14, although it is a little hard to read here, but we have
20 provided you with the reference data that we used to do the
21 count.

22 So back again on page 12, just let me conclude by
23 completing the illustration of this table to say that if
24 you were to work with a threshold of 180 percent, which
25 happens to be midway between the 170 and the 190 on the
26 illustration, you would see that it would increase the
27 number of utilities that would be triggered from the
28 threshold perspective using the three-year average to 13,

1 five of whom have customer growth greater than 2 percent.

2 The significance of the customer growth greater than 2
3 percent is hinted at in a note at the bottom, "Customer
4 growth provides incremental funding for new capital."

5 In other words, if there was no change in the rate
6 from one year to the next, but you added new customers, you
7 would add new revenue. Some portion of which could be used
8 to fund capital expenditures.

9 MR. SOMMERVILLE: So would you be normalizing your
10 assessment through customer growth?

11 MR. COWAN: Our suggestion, using this frame, is that
12 the utilities test themselves against the hurdle without
13 including a determination of how much is funded by growth
14 but then come back and ask themselves: If, while they may
15 pass the hurdle, the threshold, whether they really should
16 take the time and energy of the Board by making application
17 when it can be demonstrated that a significant component of
18 their funding is already provided through customer growth.

19 Rather than make it an explicit element in the test --
20 and I think some of the alternative methods that are going
21 to be suggested may suggest that this growth be embedded in
22 the threshold, our view is that perhaps that adds a
23 dimension of complexity that makes it difficult to apply.

24 As the descriptions the others may make come forward,
25 Mr. Sommerville, it may become clearer whether it is
26 complex or not. But we decided to leave it out of the
27 actual threshold calculation.

28 You can see that if the threshold were at 150 percent

1 instead of 180 or 200, that the number of utilities that
2 would be drawn or captured under either the one year or the
3 three year would be considerably larger, and it would
4 start, in my humble opinion, to become more than the
5 exception circumstance that I think the intent of the
6 capital module was aimed at capturing.

7 So having said that, the only remaining comment that I
8 have is with regard to using a single year versus a three-
9 year average CAPEX.

10 We note that depreciation is a blend of data from --
11 covering a period of, on average, of 25 years' worth of
12 additions to the property, plant and equipment, so
13 therefore has already automatically included a natural
14 averaging. It's smoothed because it is the full file of 25
15 years' worth.

16 If you were to add new capital in any new year, it is
17 unlikely it would disturb the total depreciation expense in
18 that year by huge amounts.

19 Whereas if one is looking at capital expenditures,
20 perhaps it makes sense to take a three-year average as
21 opposed to a single year of capital expenditures, which
22 could be a particularly anomalous year and therefore not
23 necessarily as fair a representation of normal business.

24 So we thought that this illustrative material would
25 perhaps be helpful for the panel in understanding some of
26 the linkages between depreciation and the potential capital
27 spending that might be instructive.

28 MR. SOMMERVILLE: Thank you.

1 MR. VLAHOS: Mr. Cowan, just a minute. I may have a
2 question at this stage.

3 Yes. Can you just clarify for me, when you look at
4 the average of three most recent fiscal years, just for the
5 purposes of meeting that threshold -- and that's a
6 calculation done by the utility; right?

7 MR. COWAN: That is -- we actually did the calculation
8 using the RRR reported data provided to the Board.

9 MR. VLAHOS: But the anticipation is the utility will
10 do the calculation before it endeavours to come before the
11 Board?

12 MR. COWAN: Yes, sir.

13 MR. VLAHOS: But the number of -- the CAPEX number
14 that would be requested, do I see that anywhere here?

15 MR. COWAN: No. That would be their forecast of what
16 they anticipate to spend in the year that they wished the
17 rate adjustment to be applied to.

18 MR. VLAHOS: So this exercise, then, is just a
19 qualifier?

20 MR. COWAN: Correct.

21 MR. VLAHOS: It doesn't speak to as to whether I want
22 \$100 million or \$300 million, which may be twice or five
23 times what I may reflect in my rate base?

24 MR. COWAN: Correct.

25 MR. VLAHOS: Okay. Thanks for that clarification.

26 MR. SOMMERVILLE: Mr. Aiken. We will break at 4:30
27 today, which may require us to hear a couple of
28 presentations first thing tomorrow.

1 I don't think that compromises our 12 o'clock
2 departure promise. So, Mr. Aiken.

3 MR. AIKEN: Again, I will try to be quick and
4 efficient.

5 MR. COWAN: Can I enquire, Mr. Sommerville? I think
6 -- are we asking Mr. Aiken if he has any questions of what
7 I was saying or asking for his presentation?

8 MR. SOMMERVILLE: He is scheduled to make his
9 presentation.

10 MR. COWAN: I wonder if the other half of what we have
11 from Board Staff would be complete if we had Mr. Kaufmann
12 say his remarks at this point?

13 DR. KAUFMANN: I have very little to add.

14 MR. SOMMERVILLE: Well, for the sake of completeness,
15 go ahead.

16 DR. KAUFMANN: Yes. This is one issue where we didn't
17 make any recommendations and didn't undertake any
18 independent analysis.

19 However, a point that I have made in several instances
20 in the proceeding is that there is an implicit adjustment
21 for capital expenditures that exists in the price
22 adjustment formula, and that's because a historical level
23 of CAPEX is built into the productivity factor and if you
24 have more CAPEX, you are going to have lower TFP growth,
25 all else equal, and that means more price escalation.

26 I don't have the clicker here, but if we can go to the
27 next slide?

28 Explicit -- and another point is that there are --

1 explicit and additional adjustments for CAPEX are
2 relatively rare in price indexing plans because of that.
3 Most plans just allow the implicit recovery through the
4 productivity factor to be -- thank you -- the main factor.

5 However, adjustments could be warranted if, for
6 whatever reason, a company's future CAPEX differs in a
7 significant way from what's reflected in historical
8 industry-based trends.

9 But even if that is true, we have to be careful that
10 if there is going to be an adder or some adjustment to the
11 formula to pick that up, then any additional CAPEX
12 adjustment does not allow double counting, because, again,
13 there is this element that some of it has already been
14 recovered through the formula.

15 While -- while I didn't undertake any independent
16 examination of this, I have looked at Staff's submissions.
17 I was in contact with them while they were preparing it.
18 And I do believe that this is an adequate control for the
19 double-counting issue. I think it has a very transparent
20 and objective empirical foundation.

21 As Bill mentioned, you can make this more complicated
22 to perhaps deal with the customer growth and other issues,
23 but I think this is transparent and objective, and it is
24 also administratively simple.

25 So for those reasons, I think there is significant
26 merit in the Staff's range for the materiality threshold.
27 It strikes a good balance between being empirically
28 founded, controlling for the issue, the main issue of

1 double counting, and being simple. But I haven't evaluated
2 any other proposals in any significant degree, so even
3 though there is merit, it shouldn't be interpreted as
4 necessarily an endorsement of the Staff proposal as opposed
5 to any other.

6 MR. SOMMERVILLE: That point is taken. Thank you.

7 Mr. Aiken, you are up.

8 MR. AIKEN: Thank you. What I have attempted to do, I
9 think, is very much along the lines of what Board Staff has
10 presented. It is an approach to see what level of CAPEX
11 can be funded through the price cap, as well as load
12 growth, and then anything over and above that could qualify
13 for the capital module.

14 So the premise of the formula that I am going to
15 present is that the approved base year revenue requirement
16 covers the OM&A costs and the rate base costs, and those
17 rate base costs are depreciation, interest on debt, return
18 on equity and the associated taxes.

19 Similar to what Mr. Cowan indicated, the revenue
20 generated under a price cap plan automatically generates
21 more revenue for capital investment.

22 What I have said here is the revenue generated under a
23 price cap plan is equal to the approved revenue requirement
24 from the last rebasing year adjusted for the price cap
25 index, as well as load growth. I will explain load growth
26 in more detail later on.

27 So then on average -- and we have got to remember this
28 is a broad-brush approach to aid some utilities, but, on

1 average, if the OM&A expenses are managed based on the
2 price cap and the load growth, then the revenue generated
3 under a price cap would cover rate base related costs in
4 the same proportion. In other words, they would be
5 reflective of the price cap and load growth. And I think
6 that is similar to what Staff has been saying.

7 So I have just identified the definitions of the
8 variables I have used, and it basically comes down to two
9 equations, equations 1 and 2.

10 I will start with equation 2, because it is the
11 simpler of the two. That just shows that the rate base is
12 basically last year's rate base, less depreciation, plus
13 any CAPEX in the current year.

14 The first equation is how much rate base can be
15 funded, and that is equal to last year's rate base
16 increased for the price cap and increased for any load
17 growth. And I might point out the load growth could be
18 positive or negative.

19 Then what I wanted to do was solve for the CAPEX how
20 much CAPEX makes this work. So equation 3 had to set the
21 two equations equal to one another. Equations 3A, 3B, 3C
22 you can ignore. That's just going through the math.

23 So you get to equation 3D, where the CAPEX is equal to
24 the depreciation, plus the rate base, times a
25 multiplicative growth factor that has growth of revenue in
26 the utility, growth due to the price cap, and the
27 multiplicative effect of the price cap and the growth.

28 Then in equation 4, all I have done is divided by the

1 depreciation to get the ratio the Board was looking for.
2 So the ratio is one plus rate base divided by depreciation,
3 times the multiplicative factor that reflects growth and
4 the price cap.

5 I will just follow on down from that. This ratio
6 could be used as a materiality threshold or as a base from
7 which a threshold would be calculated.

8 What I mean by that is instead of just relying on that
9 number, whatever that number works out to be, the Board
10 could easily decide it should be that number plus 25 basis
11 points. So if the calculation comes out to be 125 percent,
12 or the Board may want to give itself essentially a dead
13 band and say it is 125 for that utility, but we're adding a
14 dead band of 25, so the threshold would then be 150
15 percent.

16 The values for the depreciation, the rate base and the
17 load growth could all be taken from the Board-approved base
18 year rate decisions because all of that information is
19 either directly available -- including the rate base and
20 the depreciation -- or it can be calculated and that would
21 be the load growth.

22 Essentially the load growth would reflect either the
23 Board decision in rates applied to the bridge year, so that
24 you have the same revenues. Then the load growth would be
25 the weighted average of the customer charge, the demand
26 charge, all of the distribution revenues.

27 So that information is easily provided.

28 The value of P, the price cap, is going to depend on

1 the inflation rate, the common productivity factor and the
2 specific stretch factor applied to the distributor.

3 We already know there is going to be three different
4 price caps, essentially, applied to the 80-some utilities,
5 and so this approach takes that into account because it is
6 utility-specific.

7 That is my last point, is that the materiality
8 threshold would be different for each distributor. This
9 would reflect their diversity and their different positions
10 in their asset replacement cycle.

11 And to illustrate that, if you go to the next page, I
12 put together two quick examples from some of the filings
13 and some of the utilities I had worked on in the 2008
14 rebasing.

15 To illustrate the difference, if you look at utility A
16 and B under the base column in both cases, these are the
17 rate base numbers and their depreciation numbers that they
18 requested. The growth rates I have calculated based on
19 their evidence and I have assumed a price cap of
20 1-1/2 percent.

21 In utility A's case, the CAPEX over depreciation ratio
22 is 145 percent, whereas in utility B, it is much lower, at
23 123 percent.

24 And that reflects two things. One is the difference
25 in the depreciation compared to the rate base between the
26 two utilities. They're in different stages of their
27 investment cycle as well as the difference in the growth
28 rates. One has a growth rate of .4. The other has no

1 growth rate.

2 The utility A, the base versus the growth. The only
3 difference there in the assumptions is that the growth rate
4 I have increased from .4 percent to .9 percent just to show
5 the sensitivity of what the CAPEX, the depreciation ratio
6 would be so that raises it from 145 to 157 percent.

7 The price cap is the same as the base case, except I
8 have increased the price cap by 1.5 to 2 percent, again to
9 show the sensitivity.

10 Then the final column, the cycle, the only difference
11 between that and the base case is that the rate base is
12 higher, so in this case, the utility under the cycle column
13 would be what you would call a newer utility. It has newer
14 average assets.

15 And under the same growth and price cap scenarios,
16 their CAPEX-to-depreciation ratio would be higher as a
17 threshold to meet, because they're essentially a newer
18 utility and they don't need -- or if their capital
19 expenditures can be higher.

20 Then I have just shown for simplicity as well the
21 actual CAPEX dollars that each of those ratios corresponds
22 to.

23 Then the approach would be that if a utility came in,
24 for example, utility A came in and had a CAPEX forecast of
25 two and a half million dollars, it would be the difference
26 the two and a half million minus the 1.35 million that they
27 could be allowed to recover through the investment module.

28 So as I said, I tried to be short.

1 MR. SOMMERVILLE: Mr. Aiken, did you develop your
2 methodology independent of the Board?

3 MR. AIKEN: Yes. I should have stated at the
4 beginning, I have developed this based on the comments that
5 Mr. Shepherd sent in a few months ago. I reviewed his
6 methodology, didn't like parts of it, liked other parts of
7 it, and then struck out on this approach.

8 MR. SOMMERVILLE: Would you characterize your
9 methodology as being resonant with the methodology that Mr.
10 Cowan was expressing?

11 MR. AIKEN: I am not positive. Maybe I can ask Mr.
12 Cowan a question.

13 Would your numbers be calculated by individual
14 utilities? Or is there one number that you are going to
15 propose that all utilities would be?

16 MR. COWAN: Our suggestion is that the panel adopt one
17 number for use by all utilities, and that the growth would
18 be dealt with in their individual case. I see the most
19 significant difference between what you have proposed and
20 what we describe is that you haven't addressed the question
21 of inflation effect on the comparison of the depreciation
22 dollars that you have used with the fact that the CAPEX is
23 in dollars of today.

24 So I don't -- I would ask you how you see that being
25 addressed.

26 MR. AIKEN: As I said earlier, this approach was a
27 broad-brush, and you are right, the depreciation is
28 probably the major category where this may have problems or

1 your approach may have problems.

2 I say it is a broad brush, because it would apply to
3 different utilities differently. If a utility had capital
4 expenditures that were driven by expansion, then the
5 depreciation or the increased depreciation expense could be
6 more of an issue than for a utility who was replacing
7 assets, because those gross assets would be written off and
8 then the new capital expenditures added.

9 So the depreciation expense would still go up, but it
10 may not go up to the same extent because there would be
11 assets written off that would no longer be depreciated.

12 MR. VLAHOS: Mr. Cowan, can I...

13 If one were to take the -- if one were inclined to
14 find that there is merit in this proposal by Mr. Aiken, to
15 the extent that one is able to set sort of rates on a
16 utility-specific basis or the threshold would be on a
17 utility-specific basis, how would you accommodate, in this
18 formula of Mr. Aiken's, your own analysis or proposal
19 regarding the currency of the depreciation?

20 MR. COWAN: One could adopt a standard adder to be
21 included to reflect the impact of the industry average
22 adjustment factor, such as the 49.1 percent that I
23 described. Or, attempt to develop an individual one, which
24 I think would be rather difficult, in that it would require
25 the application of the Statistics Canada tables to each and
26 every utility, a Series of calculations that would be
27 rather painful, I think.

28 So off the top, my response would be that if the Board

1 was comfortable with a standard adder to reflect industry
2 average depreciation -- industry average inflation
3 adjustment, then I think that would be the most practical
4 way to allow this formula to then be applied with, on an
5 individual basis.

6 MR. VLAHOS: So practically, how would this work?
7 Would I take Mr. Aiken's formula and say, you know, I'm
8 utility A --

9 MR. COWAN: Right.

10 MR. VLAHOS: -- and I calculate 145.1 percent as being
11 the CAPEX depreciation ratio, that's the threshold that I
12 have to meet, plus an inflation factor. So I would have to
13 add that. Now how would that be derived? I mean it would
14 have to be a Board number.

15 MR. COWAN: It would.

16 MR. VLAHOS: Right. So the Board would probably turn
17 to you.

18 MR. COWAN: Well, to the extent that I have tabled a
19 proposal of how to calculate that adjustment --

20 MR. VLAHOS: So it is already there?

21 MR. COWAN: Yes, I believe so, and the specific number
22 would be 49.1.

23 MR. SOMMERVILLE: So you have looked --

24 MR. VLAHOS: 49.1 of what?

25 MR. COWAN: It is not clear in my mind as to whether
26 it would be multiplicative or additive. My first reaction
27 is that it would be additive. So you would take Mr.
28 Aiken's 145.1 and add 49.1 to it, and you would get 194.2.

1 That is subject to check as to whether additive is the
2 right way to go. And that would then be the threshold
3 beyond which the applicant would apply.

4 Now, I heard Mr. Aiken say that the amount of the
5 application, in his illustration, would be the difference
6 between a \$2 million CAPEX plan and the 1.375 that was
7 here.

8 I hadn't, in the model that Board staff drafted, felt
9 it was necessary to restrict the eligibility of the amount.
10 In other words, once you pass the threshold, you are in and
11 you are able to then make your case to the Board for
12 incremental revenue requirement or an incremental
13 adjustment to rates to help you with the extra capital
14 expenditures you have, without putting a restriction that
15 it should be the difference between the threshold amount
16 and whatever amount was being sought.

17 MR. VLAHOS: I wasn't testing that, whether there
18 should be the difference only, but rather, how the
19 threshold of Mr. Aiken's could be modified to address your
20 -- I guess the other variable that you have introduced.

21 MR. COWAN: Do you feel that I have sufficiently
22 answered your question?

23 MR. VLAHOS: You have answered my question. I am not
24 sure what the solution is, but you have answered the
25 question, that Mr. Aiken's model does not incorporate this
26 and it has to be incorporated -- it has to be done by the
27 Board itself, and it's a question of how it is done and
28 what it would represent.

1 Also, it sounds to me, if it was additive, 145, in the
2 case of that scenario, plus 49, that brings you closer to
3 200 points.

4 MR. COWAN: The difference then between Mr. Aiken's
5 method and what I would suggest is simply that he has
6 included the load growth factor in the analysis. That
7 would be the only difference between what I had otherwise
8 tabled and what he has tabled.

9 MR. VLAHOS: I do have a question on the load growth,
10 Mr. Aiken. I guess that would be a percentage.

11 Is it a customer growth? What do you mean by load
12 growth and how would you calculate it on a utility-specific
13 basis?

14 MR. AIKEN: It is not customers. It's basically a
15 weighted revenue growth using the same rates between the
16 Board-approved test year revenues and the bridge year,
17 revenues calculated at the test year rates.

18 So the rates are the same, but then the customer
19 growth, the volumetric growth, the peak growth, all of the
20 different contributors to distribution revenue, would
21 automatically be appropriately weighted using the same
22 revenues.

23 MR. VLAHOS: So you are looking at one year change?

24 MR. AIKEN: Yes.

25 MR. VLAHOS: Just one year, not three years, not
26 historical. Just one year change?

27 MR. AIKEN: Yes. Everything would be based on the
28 Board-approved numbers, with the exception of the load

1 growth, which would include the bridge year filing.

2 MR. VLAHOS: Just lastly, you mentioned many times the
3 amount of rate base or capital expenditures that can be
4 financed or can be carried, whatever words you used. Is
5 the issue here one of what can be funded or what can be
6 viewed as a return on certain investments that could be
7 made with other companies being worse off?

8 MR. AIKEN: I viewed it as how much the rate base can
9 grow based on a price cap and growth in the specific
10 utility.

11 MR. VLAHOS: Right. Without compromising the return
12 on the investment?

13 MR. AIKEN: That's correct.

14 MR. VLAHOS: Not necessarily only being able to fund.
15 In other words, going to the bank and borrow the money?

16 MR. AIKEN: No, no.

17 MR. VLAHOS: Mr. Cowan, I believe your assumption is
18 the same, is it?

19 MR. COWAN: Yes, it is.

20 MR. VLAHOS: Okay.

21 MR. SOMMERVILLE: We will return tomorrow to -- there
22 will be an opportunity for further questions on the other
23 proposals, as well as these two proposals.

24 So we will break until 9:30 tomorrow morning, at which
25 point we will take up with you, Ms. Frayer, and we will
26 continue. Thank you very much.

27 --- Whereupon the proceeding adjourned at 4:25 p.m.

28