



ONTARIO ENERGY BOARD

FILE NO.: EB-2007-0673

VOLUME: Stakeholder Consultation

DATE: August 7, 2008

BEFORE: Paul Sommerville Presiding Member

Paul Vlahos Member

THE ONTARIO ENERGY BOARD

3rd Generation Incentive Regulation
for Electricity Distributors

Proceeding held at 2300 Yonge Street,
25th Floor, Toronto, Ontario,
on Thursday, August 7, 2008,
commencing at 9:33 a.m.

Stakeholder Consultation

BEFORE:

PAUL SOMMERVILLE

Presiding Member

PAUL VLAHOS

Member

A P P E A R A N C E S

LISA BRICKENDEN ALLAN FOGWILL MARIKA HARE BILL COWAN	Board Staff
JAY SHEPHERD	School Energy Coalition (SEC)
RANDY AIKEN	London Property Management Association (LPMA)
BILL HARPER	Vulnerable Energy Consumer's Coalition
MAURICE TUCCI DR. ADONIS YATCHEW	Electricity Distributors' Association (EDA)
PAULA CONBOY	PowerStream Inc.
SUSAN FRANK	Hydro One and Coalition of Large Distributors (Enersource Hydro Mississauga Inc., Horizon Utilities Corporation, Hydro Ottawa Limited, PowerStream Inc., Toronto Hydro-Electric System Limited and Veridian Connections Inc.)
JULIE GIRVAN	Consumers' Council of Canada (CCC)
JULIA FRAYER	London Economics Group
JUDY KWIK DR. FRANK CRONIN	Power Workers' Union (PWU)
PETER THOMPSON	Canadian Manufacturers & Exporters (CME)
DR. LAWRENCE KAUFMANN	Pacific Economics Group (PEG)
DAVID MacINTOSH	Energy Probe Research Foundation
LYNNE ANDERSON	Ottawa Hydro

A P P E A R A N C E S

LISA BRICKENDEN	Board Staff
ALLAN FOGWILL	
MARIKA HARE	
BILL COWAN	
JAY SHEPHERD	School Energy Coalition (SEC)
RANDY AIKEN	London Property Management Association (LPMA)
BILL HARPER	Vulnerable Energy Consumer's Coalition
MAURICE TUCCI	Electricity Distributors'
DR. ADONIS YATCHEW	Association (EDA)
PAULA CONBOY	
SUSAN FRANK	Hydro One and Coalition of Large Distributors (Enersource Hydro Mississauga Inc., Horizon Utilities Corporation, Hydro Ottawa Limited, PowerStream Inc., Toronto Hydro-Electric System Limited and Veridian Connections Inc.)
JULIE GIRVAN	Consumers' Council of Canada (CCC)
JULIA FRAYER	London Economics Group
JUDY KWIK	Power Workers' Union (PWU)
DR. FRANK CRONIN	
PETER THOMPSON	Canadian Manufacturers & Exporters (CME)
DR. LAWRENCE KAUFMANN	Pacific Economics Group (PEG)
DAVID MacINTOSH	Energy Probe Research Foundation
LYNNE ANDERSON	Ottawa Hydro

I N D E X O F P R O C E E D I N G S

<u>Description</u>	<u>Page No.</u>
--- Upon commencing at 9:33 a.m.	1
CAPTIAL MODULE THRESHOLD	1
ONTARIO ENERGY BOARD STAFF	1
Presentation by Mr. Cowan	1
COALITION OF LARGE DISTRIBUTORS & HYDRO ONE NETWORKS	10
Presentation by Ms. Frayer	10
SCHOOL ENERGY COALITION	18
Presentation by Mr. Shepherd	18
Questions/Discussion	60
--- Recess taken at 11:23 p.m.	66
--- On resuming at 11:45 a.m.	66
FINAL SUBMISSIONS	66
Submission by Dr. Kaufmann	66
Submissions by Mr. Shepherd	76
Submissions by Mr. Thompson	79
Submissions by Mr. Aiken	89
Submissions by Ms. Girvan	94
Submissions by Ms. Frank	96
Submissions by Mr. Harper	106
--- Whereupon the proceeding concluded at 1:04 p.m.	112

E X H I B I T S

Description _____ Page No.

NO EXHIBITS WERE FILED DURING THIS PROCEEDING

U N D E R T A K I N G S

Description

Page No.

NO UNDERTAKINGS WERE FILED DURING THIS PROCEEDING

1 Thursday, August 7, 2008

2 --- Upon commencing at 9:33 a.m.

3 MR. SOMMERVILLE: Good morning everyone. Thank you.

4 This is the third day of consultation with respect to
5 the 3rd generation incentive rate mechanism.

6 Today we will be focussing on, and will be continuing
7 our focus on the capital module threshold question. We
8 have outstanding presentations from Ms. Frayer and Mr.
9 Shepherd.

10 I have been advised that Mr. Cowan, in response to a
11 question from Mr. Vlahos, would like an opportunity just to
12 clarify his presentation. So unless there is something
13 else that we need to deal with prior to that, we will
14 proceed to that. Is there anything preliminary from
15 anyone? Mr. Cowan.

16 **CAPTIAL MODULE THRESHOLD**

17 **ONTARIO ENERGY BOARD STAFF**

18 **PRESENTATION BY MR. COWAN:**

19 MR. COWAN: Thank you, Mr. Sommerville.

20 It is actually by way of amplification to the answer
21 to a question from Mr. Vlahos, and I believe the panel does
22 not have a copy of a one-page analysis that I have done,
23 and if Pasquale would be so kind as to give the Panel
24 Members a copy, then we will be in business.

25 The question posed by Mr. Vlahos would be or was:
26 What would happen to the inflation factor if one were to --
27 or how would the method or the outline of possible method
28 that we discussed from Board Staff's perspective yesterday,

ASAP Reporting Services Inc.

(613) 564-2727

(416) 861-8720

1 how would that be affected if one were to apply it on an
2 individual utility basis?

3 I had commented that one would apply -- or if we were
4 to apply Mr. Aiken's method, how would it be modified to
5 accommodate the adder for inflation?

6 I suggested that it would be a simple add of a 50
7 basis -- 50 percentage point, excuse me, adjustment to Mr.
8 Aiken's methodology.

9 There was some consideration of that afterwards. I
10 have also done a review of the actual age, distribution of
11 the distributors in Ontario, on a relatively simplistic
12 method, but I think it is realistic enough for purposes of
13 this discussion.

14 So I also responded to a suggestion that Mr. Harper
15 made to me after the meeting yesterday, which was that
16 perhaps it would be possible to develop a table that was
17 reflected -- reflective of the age of the plant, and
18 thereby came up with a particular inflation adjustment
19 factor that would be sensitive to the individual age of
20 plant.

21 So, in fact, the first thing that I did, then, you
22 will see on the one page that I have distributed, is
23 determined whether or not there is a distribution of ages
24 of plant. I have done this by using the three columns of
25 numbers that I have shown, and I selected a number of
26 utilities without the particular rationale, other than to
27 make sure that we picked up a substantial amount of the
28 moneys attributable to the total plant in Ontario, which,

1 as per our discussion yesterday from the yearbook, is
2 \$17 billion. You will see that as the total of the first
3 column of numbers.

4 The sample that I selected pulls out 13.3 billion of
5 that. So I would suggest it is a reasonable representation
6 of the whole population. In that I didn't have a lot of
7 time to pull this together, I didn't do all 83
8 distributors, but you can see that the sample that I
9 pulled, the depreciation expense is given in the second
10 column and that the population that I selected actually
11 does have an average age of 25.2 years, which is pretty
12 close to the average for the entire population of 25.3.

13 The interesting message from this is that there is a
14 distribution of age of the various plants involved that
15 appears to run from about 19 years, which I have
16 highlighted in a square box, up to 29 years.

17 So if you step back for a moment, and then realize
18 that the method that I described yesterday for inflation
19 adjustment was one that escalated as a function of the
20 number of years of average age, and came up with a factor
21 of 49.1 percent attributable to a 25.3-year average life
22 for all of Ontario distributors, that if you were more
23 particular for an individual distributor and that that
24 distributor had a life of -- average life of plant of 19
25 years, that you would find an equivalent adder of 27.6
26 percent.

27 You will see that I haven't given you the details for
28 that calculation, but I certainly could, should you want to

1 see it, as to how we did the compounding. It is the same
2 methodology as I used and displayed on frame 13 in our
3 presentation yesterday, that with an average age of 19
4 years, the adder would be 27.6 percent; with an average age
5 of plant of 29 years, picking the other extreme, it would
6 be 72.8 percent.

7 So I would ask you for a moment to take a look at
8 frame 11 in our presentation, which is up on the screen,
9 but that frame is the one where I pulled together the
10 summary values that were in our presentation from
11 yesterday.

12 So in response to Mr. Vlahos's question of what would
13 happen if you were to be more utility specific, I am
14 suggesting that age of plant would make a difference and
15 that the adjustment for the inflation, which is shown as
16 50 percent in each of the two columns on this presentation,
17 could be adjusted to a lower number of 27.6 - call it 28 if
18 you like - and the higher range, the 50 percent, could be
19 replaced with a value for a 29-year average life of plant
20 of 73 percentage points, being a round-up from 72.8 to 73.

21 Should one do that, the totals for the two columns
22 become 148 percent for the lower bound and 213 percent for
23 the upper bound. The 213 percent is a significantly large
24 number, as we certainly can appreciate. One of the
25 components in there, of course, is the 2 percent escalator
26 assumption for IRM 3 versus a 1 percent assumption.

27 So, interestingly, the higher and lower still do tend
28 to have a midpoint somewhere around 170, 180 percentage

1 points.

2 It does suggest that if one were to apply this
3 methodology, since the bandwidth on this analysis is quite
4 broad, that it would be useful to think about some sort of
5 utility-specific methodology, and the very quick sketch at
6 the beginning that I gave, which was to say that Board
7 Staff could generate a table that showed the number of
8 years of the average age of plant down one column and the
9 inflation adjuster in the next column, that could then be
10 simply used by individual distributors when making a
11 judgment as to whether they pass the threshold test, or
12 not.

13 So that's a more full answer and perhaps longer than
14 you had anticipated, Mr. Sommerville, but a more full
15 answer to Mr. Vlahos's question.

16 MR. SOMMERVILLE: Ms. Conboy.

17 MS. CONBOY: Sorry, if I could ask a quick question.
18 Paula Conboy with PowerStream.

19 I am struggling following this, and certainly I am
20 going to have to spend some time with it offline.

21 But when I look at numbers and step back and try and
22 think, intuitively, do they make sense, the numbers for my
23 company, PowerStream, don't make sense here. And certainly
24 I have to go back to the year book, but as a newer utility,
25 certainly we have some older plant, but most of our plant I
26 would suggest is quite a bit newer. And, actually, when
27 Dr. Kaufmann's colleague did his benchmarking report and
28 looked at the econometrics, I think that that was

1 specifically discussed, the fact that we had newer plant.

2 Yet on here, if I go down, the implied average age of
3 our property, plant and equipment is the oldest among all
4 of them, with the implication that we would have the
5 highest threshold to meet.

6 I am just struggling a little bit with whether that
7 intuitively makes sense or not.

8 MR. SOMMERVILLE: Let me just follow that up. It
9 seems to me a little odd that the oldest plant results in
10 the highest threshold.

11 MR. COWAN: But the purpose of the adjustment is to
12 reflect a bringing of the value into dollars of today.

13 So if there is older plant, then one would expect to
14 have to gross it up by a larger amount in order to bring it
15 into dollars of today.

16 Keeping in mind that this is a threshold, not an
17 indication of what the amount of cost ought to be for
18 investment in the plant. It's a measure of adjustment to
19 bring the dollars of today to the table.

20 So that's why the number is signed the way it is.

21 Now, with regard to Ms. Conboy's observation --

22 MR. SOMMERVILLE: It's a data question, I think.

23 MR. COWAN: Well it may be a data question, but it may
24 also be a function of thinking about the extent to which
25 the mix in the asset base is a function of long life versus
26 shorter life assets.

27 If one were to compare Enersource, which is the -- I
28 take the liberty of picking them simply because they are

1 the other extreme, and PowerStream, I am not sitting here
2 -- I don't know the answer as to whether or not there is a
3 higher degree of technology investment in Enersource than
4 there is in PowerStream. I have no knowledge of that. In
5 fact, it may not be the case.

6 The other phenomenon that sometimes occurs in asset
7 management is that if there are assets that have actually
8 been fully amortized, they may not have been removed from
9 the file. And that problem is typically one that is
10 covered through annual audited financial statements, in
11 that auditors aren't generally comfortable leaving fully
12 amortized assets on the books. But I have seen it happen.

13 That could be a cause of some of this. So I must say
14 that I had the same observation about the list, that
15 PowerStream does seem anomalous in that particular way.
16 PowerStream is always special, of course.

17 MS. CONBOY: Always. Did you get that spelled
18 properly?

19 MR. COWAN: But -- so I have no more detailed
20 explanation, but do point as those two possible elements
21 that might make up the reason.

22 MS. CONBOY: If you've got longer lived -- if you've
23 got older assets, so you have a higher escalator to bring
24 it up to meet the threshold, is that in and of itself a
25 little counterintuitive as well because the older assets
26 would be what you would have to replace and need the
27 capital adjustment factor for.

28 MR. COWAN: Absolutely right. But the purpose is to

1 have a threshold that is reasonably representative of what
2 a normalized value would be.

3 So I would suggest that trying to resolve that
4 question is not a function of calculating the value. It's
5 a question of how to deal with the value.

6 MR. SOMMERVILLE: Mr. Aiken's methodology dealt with
7 the -- we will move on to the other presentation shortly
8 and bring all of the options into the discussion, but it
9 seems to me that Mr. Aiken's proposal individualized the
10 thresholds, but he did it through the depreciation number.

11 Is there some inherent flaw if you were to use the --
12 your kind of averaged inflation factor number, the 49.1 or
13 whatever it turned out to be, but individualized according
14 to the depreciation number without adjusting it in that
15 fashion? Without adjusting it, more particularly, for the
16 specific age of the specific assets within the specific
17 utilities?

18 MR. COWAN: I believe that to use the depreciation
19 number responsibly, you need to relate it to, on an
20 individual basis, to some aspect of the plant.

21 So to use it on its own, without adjustment, I don't
22 think is whole. But I see the question moving to a bigger
23 question, and that is whether you wish to adjust a revenue
24 requirement or a rate for a utility using IRM 3, whether
25 you wish to adjust the rate, given what's already approved
26 in rates, or whether you want to respond to unusual spikes
27 in capital spending as a basis for reviewing an application
28 and deciding to adjust it.

1 If you want to identify unusual capital spending, I
2 would suggest that you need to make an inflation adjustment
3 in order to get a determination of what is a realistic,
4 normal level of expenditure that one would expect.

5 If you want to adjust in relation to what is already
6 in the rate, then it is possible to ignore the inflation
7 component altogether.

8 MR. SOMMERVILLE: Okay.

9 MR. VLAHOS: Mr. Aiken, before we proceed, can you
10 just clarify for me, your growth factor, can that be a
11 negative as well? To the extent it is a negative, should
12 that be inputted as a negative? Or there is a restriction
13 to zero or greater than zero?

14 MR. AIKEN: It could also be negative load growth.

15 MR. VLAHOS: All right. Thank you.

16 MR. SOMMERVILLE: Ms. Frayer, I think you are next up,
17 please.

18 I should mention there will be an opportunity, after
19 the presentations and the discussion on this subject, for
20 very brief summations from the parties.

21 I think we are looking at basically a ten-minute wrap-
22 up and anyone who wants to is entitled to take advantage of
23 that, or not, as the case might be.

24 We do -- we will enforce the ten-minute restriction.
25 So you will be forced to be brief and to the point. With
26 that, Ms. Frayer.

27 MS. FRAYER: Good morning. I think my mike is on this
28 morning.

1 **COALITION OF LARGE DISTRIBUTORS & HYDRO ONE NETWORKS**

2 **PRESENTATION BY MS. FRAYER:**

3 MS. FRAYER: Let me start off by saying that the Board
4 had asked a very specific question, and my recommendations
5 today are, in fact, answering that specific -- geared to
6 answering that specific question which was: What level
7 would we recommend for materiality threshold, which would
8 be based on a specific metric, CAPEX as a function of
9 depreciation?

10 So, again, kind of -- we took the Board's decision to
11 use CAPEX as a function of depreciation as a given, and
12 moved from that point forward.

13 Before we start talking numbers, I thought it is
14 useful to review a little bit of the fundamentals of the
15 capital investment module, because that affected how we
16 dealt with this particular question that the Board had
17 asked.

18 The first element that is important to understand is
19 that during the IR period, there is no rebasing. So rates
20 assume a constant rate base.

21 However, in financial terms, for the utilities and
22 their day-to-day operations and financially, rate base is
23 growing or asset base is growing.

24 In effect, the need for an incremental capital module
25 and funding of that, for that capital investment arises
26 because rate base is growing faster than the rates under
27 the price cap regime.

28 So in that sense, we are acknowledging we do not want

1 to double-count and we acknowledge that some portion of
2 rate base growth is already remunerated through the price
3 cap mechanism. But the question is that that may not be
4 sufficient, depending on the depreciation profile and the
5 capital additions profile for a particular utility.

6 What are the implications of that? Well, the
7 implication is growth in rate base that is not funded
8 through rates results in a potential loss of the capital
9 carrying costs, because the rate base implicit in rates is
10 held constant, and also the potential for deteriorating
11 returns despite the utility's best efforts to cut costs and
12 that may also result in a delay in capital expenditures,
13 which, when it comes down to it, may not be consistent with
14 good utility practice.

15 The other point I would like to make is that growth in
16 rate base can also outpace the price cap, even if annual
17 expenditures stay consistent with historical levels or stay
18 constant over the term of the IR.

19 So it is not a function of just ballooning capital
20 expenditures. It is more a question of: How does rate
21 base grow; not just capital expenditures, but how does rate
22 base grow vis-à-vis the price cap?

23 The last point I would like to make on this slide is
24 that when we think of the incremental capital module, what
25 we're really thinking about is incremental rate base and
26 the need for rates -- a rate adder of some sort or revenue
27 adder to cover that unfunded amount of incremental rate
28 base.

1 So given that perspective in mind, my clients and I
2 originally started with a materiality threshold that was
3 linked to rate base growth.

4 Given our own experiences and looking at the actual
5 data, we believe that growth in rate base of 2 percent is
6 material, and substantially material that it has
7 significant influences in operations.

8 Let me give you an example. Let's take the situation
9 in 2007. There was an effective price cap of 0.9 percent.
10 Now, let us for the time being assume some numbers, that
11 60 percent of the revenue requirement is related to
12 capital. I think that's about right, given what Mr. Cowan
13 presented yesterday, on average, for the industry.

14 So then 60 percent of 0.9 would mean that 0.54 percent
15 of 2007's price cap was available for capital-related
16 costs.

17 In contrast, if a utility had a 2 percent increase in
18 rate base, that would have resulted in about a 1.2 percent
19 increase in the revenue requirement on a rebasing basis.

20 So there is a difference. There is a gap of
21 1.2 versus 0.54 percent. So the 2007 price cap would have
22 fallen short on funding by 0.68 percent, resulting in
23 reduced returns.

24 Frankly, that's the reason that many of the LDCs chose
25 to rebase in 2008, that they couldn't sustain that
26 deterioration in their financials.

27 I know that the Board is concerned with sustainable
28 IRM principles, and, from my perspective and in my

1 professional opinion, given where we are in the investment
2 cycle here in Ontario, given the situation for utilities
3 here in Ontario, the incremental capital module is
4 necessary and it will be useful to sustain that, the IRM
5 principles and the -- sustain rate making to the extent it
6 actually provides the sufficient opportunity for capital
7 investment funding and reasonable interest rates.

8 In that respect, the trigger is a key component of the
9 module, because, as we understand it, if you don't hit the
10 trigger, even if you are, you know, one basis point right
11 below the trigger, you cannot apply for the Board for
12 treatment under this module, and so we have to be very --
13 we have taken this as a very serious assignment.

14 So even though our original proposal was based on the
15 concept of rate base growth, after we saw the proposal from
16 Staff, I think we find that acceptable, because we
17 understand that there is a linkage between the CAPEX to the
18 depreciation formulae and a metric that is based on rate
19 growth -- rate base growth.

20 I thought that it would be useful to illustrate that
21 relationship very quickly, so if you appease me for a few
22 minutes, I would like to take you down through my five
23 equations and explain the logic of the concept. Andy Poray
24 from Hydro One helped put together this graph with me.

25 First, we must start off by defining rate base as a
26 function of depreciation and capital expenditures.
27 Equation 1 is effectively identity. I don't think anybody
28 is going to argue that equation.

1 In effect, it says that new rate base is a function of
2 the original rate base, plus capital expenditures, less
3 depreciation, where depreciation is in this equation one
4 defined as new rate base times the depreciation rate.

5 We then substitute for the depreciation rate the
6 actual ratio that defines depreciation, the depreciation
7 expense divided by rate base. That's equation 2. So we've
8 got D-naught (sic) divided by ORB, in the acronyms that I
9 have used.

10 Equation 3 then simply recognizes that new rate base
11 minus original rate base on the left-hand side of equation
12 2 is identity for the annual change in rate base, the
13 original concept or metric that we thought should be a
14 trigger for the capital module.

15 Equation 4, then, defines capital expenditure as a
16 multiple of depreciation expense, the Y times the D-naught.
17 So, in effect, that is that new metric, the threshold
18 metric, that we are working to define a number for.

19 So we can rearrange the right-hand side of equation 4
20 to yield equation 5, and that shows us the linkage, if you
21 will, between growth in rate base, change in rate base from
22 year to year, and the CAPEX to depreciation expense ratio.

23 So what we're after here today is the value of Y.
24 What multiple would be sufficient to reasonably capture the
25 funding gap?

26 We believe that 125 percent multiple is reasonable and
27 just. Based on our actual analysis of reported data for
28 2007, we can see there is a strong correlation between the

1 2 percent growth in asset base that we are concerned with,
2 that we believe is material and substantial, and a 125
3 percent ratio of capital expenditures to depreciation
4 expense.

5 This graph here is a simple illustration of that, if
6 you will, relationship using actual 2007 data. I took it
7 from the CCM database that is publicly available off the
8 Board website, and I believe in the CCM database, it is
9 defined as capital additions, and then there is a line item
10 for depreciation expense for the year, as well.

11 Asset base growth is effectively -- as per my
12 formulas, it is looking at the change in asset base.

13 So what we see here is a very strong correlation in
14 relationship between the capital additions, depreciation
15 metric, and the growth in asset base.

16 Now, you may ask, again, 2 percent, why 2 percent
17 growth in asset base? Well, we believe that 3rd generation
18 IRM, the rate adjustment mechanism in that, based on our
19 recommendations for X factor, but also loosely taking into
20 account other potential variations around that, as well as
21 expectations on inflation rates for the next few years,
22 should result in year-on-year changes in rates below 2
23 percent.

24 So, in effect, the Coalition of Large Distributors and
25 Hydro One Networks are advocating their willingness to take
26 on some responsibility and risk in managing that capital
27 expenditure funding until they reach or breach that
28 materiality threshold of 2 percent growth in rate base,

1 because we believe, clearly, at 2 percent or higher, that
2 growth in rate base is not being funded by the price cap
3 mechanism.

4 Now, we agree there may be other sources of funding,
5 like load growth, and we believe those elements should be
6 acknowledged and carefully validated for the application
7 process.

8 So we understand that there needs to be justification
9 for the need for the capital module that extends just
10 beyond the simplicity of the trigger itself, and we believe
11 that the utilities will do that within the application.

12 Now that I have explained the number we are proposing,
13 if you can allow me for a few minutes, I wanted to talk a
14 little bit about the incremental capital module and how we
15 foresee the trigger, that materiality trigger threshold,
16 working within the module.

17 We believe that the depreciation expense in the
18 trigger should be based on the Board-approved base year
19 level, because that is what is in rates. In effect, what
20 we're asking for is an incremental capital module, because
21 there is not enough funding in rates. So we want, in
22 effect, the denominator and the ratio to represent what has
23 already been approved by the Board to be in rates.

24 We believe that the capital expenditure, which is the
25 numerator of the trigger, should be based on forward
26 budget projections, because that is what is not in rates.
27 That is what is -- what causes, to some degree, that
28 funding gap to occur.

1 I understand that a test year or historical year
2 capital expenditure figure is certainly easier to
3 implement, but I think that a forward budget projection
4 capital expenditure figure would actually provide for the
5 flexibility that is needed, because in effect, we also want
6 the module to be used as an exception to the rule. And it
7 is really those capital expenditures that the utility
8 anticipates are coming down the road that are an exception
9 to the rule. That it hasn't managed to incorporate in
10 rates so far.

11 In effect, if you are using a historical number, the
12 LDC would effectively kind of know that it needs a capital
13 module even at the time of rebasing and that is not really
14 the purpose. The purpose of a capital module is to assist
15 with year-on-year funding requirements as they develop, on
16 an as-needed basis.

17 We also, again, just to emphasize we believe that each
18 utility if it applies for the module has to demonstrate
19 that it would not receive funding through other sources to
20 meet this requirement.

21 One other element that I thought it is worth
22 mentioning is this question of discretionary versus non-
23 discretionary. In my opinion, the problem is I don't
24 believe there is any language that really concretely
25 defines what is discretionary and non-discretionary with
26 respect to distribution assets and distribution capital
27 programs.

28 So in my opinion, from sort of a logical layman's

1 perspective, discretionary or non-discretionary is really
2 conditioned on the time frame. And there may be leeway
3 that utilities have in some of their capital expenditure
4 operations, should we do it this season, next season or the
5 year after. But really over the period of a multi-year
6 incentive ratemaking regime, to defer, for example, pole
7 replacement until rebasing, that is probably very contrary
8 to good utility practice.

9 So I don't want to artificially set limits when, in
10 fact, it may not, again, provide for sustainable framework
11 going forward.

12 That basically concludes my session.

13 MR. SOMMERVILLE: Thank you. Thanks very much.

14 Mr. Shepherd.

15 **SCHOOL ENERGY COALITION**

16 **PRESENTATION BY MR. SHEPHERD:**

17 MR. SHEPHERD: Thank you, Mr. Chairman.

18 I apologize, I wasn't able to see what transpired last
19 night. The transcript was caught in my spam filter. But I
20 have read the -- it wasn't actually spam, Bill and Larry.
21 But I have seen the presentations and I am familiar with
22 the concepts.

23 The most important thing the Board has to assess in
24 getting to the right threshold is: Do you want this to be
25 an exception or a standard?

26 Ms. Frayer has just said that the Coalition of Large
27 Distributors wants it to be an exception, but in fact in
28 her presentation she's provided you with a chart that shows

1 that at the threshold they're proposing, almost every
2 utility would qualify for the "exception," based on past
3 data.

4 Our view and the way we have approached trying to get
5 to the threshold is, it should be an unusual situation when
6 somebody qualifies. There should be some reason for it.
7 And the reason is, as Dr. Kaufmann has pointed out a number
8 of times, and I assume yesterday as well, the normal IRM
9 process captures the need for new capital spending and the
10 fact that new capital spending is at new dollars, not old
11 dollars.

12 The process already captures that. And when you
13 backcast into productivity numbers and things like that,
14 you are capturing all of those impacts.

15 So if you choose a threshold that everybody gets to
16 play, then basically what you're saying is: That IRM
17 number that we had inflation minus .88 or .72 or whatever
18 the number ends up being, that is just a pretend number.
19 The real number is the cost-of-service number that comes
20 out of you asking for a bunch more money.

21 That would produce a result that is not what the
22 Board's looking for and certainly not what the ratepayers
23 are looking for. So that's the first point and the reason
24 why we have approached it the way we have.

25 The second general point I want to make before I get
26 into the algorithm we have come up with is Mr. Cowan has
27 proposed an inflation adjustment and there has been some
28 talk yesterday and this morning about the possibility that

1 it be specific to utilities. We agree with PowerStream, I
2 think, and with other utilities that it is not correct to
3 have a higher threshold because you have older assets.
4 That's counterintuitive.

5 That would basically say, If you need to spend more,
6 we better give you air higher threshold.

7 Well, no, that's wrong.

8 If you need to spend more, then there's good reason
9 why you do. Your assets are old. And you should, in fact,
10 be the exception.

11 So we disagree with that adjustment. We don't think
12 this is a sensible adjustment. We don't think it should be
13 in there at all.

14 So then I am going to talk about the algorithm, but I
15 have had a chance, since looking at this for us -- remember
16 I'm not a mathematician or economist; I'm a lawyer, so
17 you're getting a lawyer's view of this. Since this, we
18 have had a chance to look at Mr. Aiken's material, Mr.
19 Cowan's material, and the material of others.

20 I think what we're proposing is closest to what Mr.
21 Aiken is proposing, and it may be useful to point out the
22 two differences that we have been able to identify in what
23 -- from what he is proposing to what we're proposing.

24 MR. SOMMERVILLE: Mr. Aiken acknowledged yesterday
25 that his work was predicated, to some degree, on earlier
26 work that you had done.

27 MR. SHEPHERD: Well and his is a substantial
28 improvement on the earlier submissions we made. Trust me

1 on that.

2 The two differences that we see now are: Number 1,
3 his proposal assumes that the productivity factor does not
4 apply to capital.

5 He's proposed that you escalate IRM based on the net
6 adjuster, as opposed to the inflation adjuster.

7 What we have said is, no, you should -- the amount
8 that you assume that IRM provides is the inflation amount,
9 because there should be productivity built into the capital
10 spending and so that should not be an additional adjustment
11 because otherwise you're saying there's the -- the capital
12 spending should have no productivity impact. And of course
13 there should be.

14 So that's the first difference we have. The second
15 difference we have is that his adjustment starts with the
16 depreciation amount but does not include an explicit
17 adjustment for the fact that the reducing rate base,
18 reduces, also, the cost of capital associated with the old
19 assets.

20 And that you have to take that reduced cost of capital
21 and gross it up to get to an additional amount that you can
22 spend based on your old revenue requirement, because you
23 don't need to service that additional capital, the
24 depreciation amount. I will take you through how that
25 works in a second.

26 So aside from that, and the second one is a relatively
27 small impact but the first one is quite a big impact and
28 Ms. Frayer makes the same mistake - which we consider it to

1 be a mistake - to assume that 0.9 percent adjuster is the
2 one that should be treated as what you have available for
3 capital. No. It is the inflation amount that you have
4 available for new capital.

5 Then you should then be productive in spending that,
6 the same as you should be productive with everything else.

7 So what we did we said, okay, the amount that you --
8 that a utility needs for capital is the cost of its old
9 capital assets and the cost of its new capital assets.

10 This is just, that's a pretty simplistic thing but it
11 helps the analysis to say: Let's look at the old stuff
12 separately from the new stuff. Because it is the new stuff
13 that we're trying to build this capital asset module for.

14 So the old stuff, the cost of the old capital assets
15 is going down every year. It's going down for a number of
16 reasons, but you can say mathematically that it's going
17 down by the amount of the depreciation, and by the amount
18 of the interest ROE and PILs on that reduction.

19 So you can actually calculate that, and the reduction
20 in the cost of the old capital assets is about 12-1/2
21 percent. I think. I'm not as clear this morning as I
22 normally am.

23 By the way, in doing that, we haven't separated out
24 PILs. We have taken a number of 8.7 percent, which is the
25 total weighted average cost of capital, including PILs. It
26 is a simple way of doing it. But I think if you do the
27 math, you will find that is the right number.

28 Then we have to look at, okay, now, how much does IRM

1 give you for the new capital assets? Well, it gives you
2 three -- it gives you money from three sources.

3 It gives you money from the reduced cost of the old
4 capital, which you can calculate. It's the depreciation
5 plus the cost of capital on that depreciation.

6 It gives you money from the inflation factor, because
7 as you increase rates by inflation, you are implicitly
8 saying, Here is some more money to spend on a whole bunch
9 of things, and -- but only the inflation factor of, course,
10 on the capital component of revenue requirement, not on the
11 operating component.

12 And it gives you money through organic growth in
13 revenues through -- you can measure that either by load or,
14 more likely, by customer numbers. That's probably the more
15 sensible approach, and, again, only the percentage that
16 relates to the capital component of revenue requirement.

17 If you work that all through, you can actually come up
18 with a formula, and please don't ask me to explain the
19 formula this morning, but I think if you work it through,
20 you will see that this formula does exactly that.

21 What it results in is, if a utility has no growth,
22 then IRM gives it 148 percent of depreciation expense as a
23 base capital spending amount available. That's how much
24 you can spend on capital if you have no growth.

25 We have used some standards here which are pretty -- I
26 think they're pretty well accepted. I think Ms. Frayer
27 used 60 percent as the component of revenue requirement
28 that's based on capital, but whether you use 50 percent or

1 60 percent, 60 percent is just going to increase the
2 threshold.

3 We have used a 6 percent interest rate and
4 8-1/2 percent ROE. You can play with those, but it is
5 actually not very sensitive to those numbers.

6 The main difference between this number, our
7 148 percent base, and the numbers that other people -- that
8 Mr. Aiken has come up with is the fact that we use the
9 2 percent inflation rate instead of a 1 percent net rate by
10 including the productivity factor. Other than that, we
11 come up with similar numbers to Mr. Aiken.

12 We can also see that there is a predictable
13 relationship between growth and the threshold percentage,
14 and it's basically 36 percent more for every 1 percent of
15 growth.

16 MR. SOMMERVILLE: Thirty-six percent of what?

17 MR. SHEPHERD: This is again 36 percent of
18 depreciation expense. We approached this, as the Board
19 directed, strictly on the basis of: How do we get to a
20 number that is a percentage of depreciation?

21 Now, the one other thing that we had to look at, then,
22 is: If we did this, if we took this approach, how does it
23 relate to the real world? Go back and look, which we did.
24 We looked at the last five years for -- four years, I
25 think, of capital spending, using the Board's annual
26 published year book data, I believe.

27 What we found is that 34 percent of utilities -- no.
28 In 2007, out of 71 LDCs we looked at -- and we excluded

1 some, because the data we had was clearly anomalous. For
2 example, we had Toronto Hydro with a revenue of \$42
3 million. Clearly the data was wrong.

4 So we excluded the ones where the data was clearly
5 incorrect. We looked at 71 LDCs. Thirty-four percent of
6 them were over a standard of 148 percent of depreciation,
7 plus or minus growth, and 66 percent were under.

8 We said, if we set the capital module at 33 percent of
9 that standard -- that is, 148 percent plus or minus growth,
10 plus 33 percent of that, whatever that was - then what
11 would the results be for past data?

12 The answer would be that 14 percent of utilities would
13 still qualify for the capital module, but, surprisingly,
14 21 percent would be -- because the bottom end of that would
15 be 100 percent of depreciation plus growth. Twenty-one
16 percent weren't even spending their depreciation level on
17 capital spending. That's called, I think, in the trade,
18 harvesting the assets.

19 So we propose a threshold of 200 percent, which is
20 148 percent plus a third, rounded, plus or minus 50 times
21 the average three-year growth. And that, again, is 36
22 percent plus a third, but we also want to make a point to
23 the Board that's important, and that is those numbers, the
24 200 percent plus 50 percent times the growth percentage,
25 that just comes from a mathematical calculation of how IRM
26 works.

27 And 15 percent, roughly, of utilities will still
28 qualify on that basis, 14 percent, I think. But we also

1 know that if the Board uses -- whatever the threshold the
2 Board uses, two-thirds of utilities will under-spend during
3 IRM and keep the money, and so we're actually a lot more
4 concerned about that than about the threshold. And having
5 done the review of the past data, we want to make a point
6 to the Board that if the Board is already monitoring this,
7 that's great. But if the Board is not monitoring this
8 under-spending, we're very concerned about that, because
9 that means that the system, in many utilities, is
10 deteriorating pretty rapidly.

11 So, therefore, our proposal is 200 percent, plus or
12 minus growth, as the threshold. We think that is
13 consistent with the data we have presented.

14 That's it.

15 MR. SOMMERVILLE: Thank you, Mr. Shepherd.

16 Questions or discussion with respect to this module.
17 Mr. Thompson, do you have questions?

18 MR. THOMPSON: Yes, I do, primarily at a conceptual
19 level, and perhaps what I will do is put them to Ms.
20 Frayer, and any other parties that have sponsored a
21 proposal, if they want to add anything, they could speak
22 up, if that is appropriate.

23 Ms. Frayer, again, I sort of come at this as where do
24 we agree and where do we disagree approach. I think --
25 well, let me just run through this quickly.

26 Are we agreed that what the Board approved for this
27 three-year IR term is -- in terms of this incremental
28 capital module feature, is what they have described in the

1 report at page 32 as a "clearly defined modular approach to
2 incremental capital expenditure"?

3 MS. FRAYER: Well, without actually knowing what the
4 Board thought about in writing, I think that I agree that
5 this is an incremental module to the price cap mechanism.

6 MR. THOMPSON: Okay.

7 Do we agree that any recovery under this module
8 depends upon the outcome of an application?

9 MS. FRAYER: Oh, yes.

10 MR. THOMPSON: Okay. And do we agree that the
11 application needs to be accompanied by comprehensive
12 evidence to support the claimed need?

13 MS. FRAYER: Of course.

14 MR. THOMPSON: And that the issues to be determined in
15 the application include these issues of materiality, need
16 and prudence?

17 MS. FRAYER: Of course.

18 MR. THOMPSON: And if something is to be recovered,
19 then do we agree that we're into a determination of a
20 revenue requirement amount in that application, and then
21 who is going to pay for it?

22 MS. FRAYER: Yes. I agree the next -- to the extent
23 there is a decision that the applicant passes that needs
24 that funding, the next question is: How much funding?

25 MR. THOMPSON: So the application that is being
26 contemplated here is not some sort of rubber stamp deal.
27 It is a full fledged --

28 MS. FRAYER: I don't see it practically being a couple

1 of equations and one single piece of paper.

2 MR. THOMPSON: Okay. Now, I have this pragmatic
3 consideration and perhaps I will pose this question to you,
4 and I will also ask Mr. Cowan to comment on it.

5 There are 83 distributors that are subject, as I
6 understand it, to this IRM proposal. And the Board has
7 limited resources to deal with applications.

8 So have you considered, Ms. Frayer, how many mid-term
9 incremental capital module applications the Board has the
10 capacity to accommodate?

11 MS. FRAYER: I cannot speak for the Board's capacity.
12 The Board Staff's capacity to process applications, but I
13 would like to speak a little bit to two points that you
14 raised, which is -- well, because it has been raised
15 elsewhere I think in discussions today, that the historical
16 data may suggest this many utilities would qualify, or this
17 few or this many.

18 I think we have to be very cautious about looking at
19 historical data to see and making predictions off of that
20 about who would qualify in the future.

21 That's actually one of the underlying purposes of
22 capital module, in that I think going forward we're going
23 to have rebasing before we start third generation IRM.

24 The rebasing may end up giving opportunities -- you
25 know may set rates at a different course so some utilities
26 won't need the capital funding through the module. Also
27 what happened historically may not necessarily be
28 representative of the need for funding going forward.

1 So I think looking at historical data to try to
2 anticipate how many applications could lead you down a
3 false path.

4 However, one other point to answer -- or to address at
5 least your question of how many applications. I think we
6 also have to think of the upshot, the alternative. If we
7 didn't have this module or the trigger was set so high that
8 in effect nobody could ever qualify for it, no one, the
9 alternative is that utilities would eventually probably
10 seek cost-of-service applications in lieu, if they can't
11 fund their capital expenditures and they need that for
12 prudent utility practices, what is the alternative?

13 MR. THOMPSON: All right. That's a fair point.

14 Mr. Cowan, can you help us with capacity to
15 accommodate?

16 MR. COWAN: I would simply observe, in response to
17 your question, that the effect of the number of utilities,
18 indeed there is a work load issue which is obviously of
19 concern but I won't speak on that. I think that is well
20 understood. That if you have to deal with 83 major
21 applications, you are in for a lot of work for everyone.

22 The other dimension of it is that -- and I think it is
23 what Mr. Shepherd was touching on right in his introductory
24 remarks, that to the extent that a large number of
25 utilities could apply to the Board for relief on capital,
26 effectively what we are doing is modifying what is intended
27 by design to be an IRM application that is broad-based,
28 being one that has become targeted on O&M. It becomes, in

1 other words, capital, if everyone is applying for capital
2 relief, then, in fact, we are doing a partial cost-of-
3 service approach with regard to all of the capital-related
4 matters on a large number of utilities, as opposed to those
5 that are the exceptions.

6 So that the fundamental design is no longer a
7 comprehensive IRM but more of a targeted IRM.

8 So that is how I see the implications of a large
9 number of applicants.

10 MR. THOMPSON: Okay, thanks.

11 Let me move forward, then, Ms. Frayer, to the -- this
12 materiality threshold question, and I assume we agree that
13 this pertains to the ability to apply for incremental
14 capital module relief.

15 MS. FRAYER: Yes.

16 MR. THOMPSON: Okay. Can we agree that related to a
17 determination of this threshold is a clear understanding of
18 what the phrase "incremental capital" refers to in this
19 module.

20 MS. FRAYER: I am not sure. Can you rephrase your
21 question?

22 MR. THOMPSON: Well, I think here is where we have
23 this fundamental different concept.

24 When you talk about "incremental capital," within this
25 incremental capital module concept, you have this vision of
26 this rate base growth.

27 MS. FRAYER: Hmm-hmm.

28 MR. THOMPSON: Whereas I think others look at it and

1 say: Incremental to what? It's incremental to what the
2 price cap and growth accommodates.

3 MS. FRAYER: I think we agree there, though.

4 I think in the application, when the utility is
5 actually calculating the additional revenue that it is
6 requiring because of the rate base growth, it needs to take
7 into account, so it doesn't double-count the fact that it
8 could get funding from the price cap mechanism, load
9 growth, or other sources.

10 So I think we're in agreement in that respect.

11 MR. THOMPSON: All right. But I think where we
12 disagree is, or at least my sense is, you would do all of
13 that in the application.

14 MS. FRAYER: I would do that in the application, yes.

15 MR. THOMPSON: Right.

16 MS. FRAYER: But where else would you do that?

17 MR. THOMPSON: Before you determine whether you are
18 eligible to apply or recover. And this is the distinction.

19 And so what I think Mr. Aiken had done, Mr. Shepherd
20 has done, and Board Staff has offered in the generic sense
21 is, the concept that a utility is ineligible to apply, I
22 would say or recover, any capital that is already covered
23 by the price cap/growth calculations.

24 MS. FRAYER: But I think, to some degree we have done
25 that too. We may differ on the numbers. I give that to
26 you. But I think we have done that as well, otherwise we
27 would have been proposing a metric value of 100 percent.

28 So we have done that as well, because we have

1 acknowledged that there are some capital expenditures that
2 are funded through price cap, adjustment mechanisms, and
3 therefore we're not asking -- we wouldn't be ever asking
4 for a threshold that would be lower than that which would
5 be funded out of the capital adjustment mechanism.

6 Recall, we're very similar. I think Mr. Cowan, in his
7 proposal, when he looked at what is funded in rates, that
8 first line, what is funded through the IRM, he did suggest,
9 if it's 1 percent or 2 percent, it is somewhere between 120
10 percent to 140 percent.

11 MR. COWAN: But that percentage, I think to be fair,
12 was a function of the inflator, net -- and Mr. Shepherd has
13 pointed out that maybe it should be gross. Not the growth
14 in the asset base.

15 So I suggest that your submission deals with the asset
16 base growth. Not with the growth in load. Although, I
17 think if you are bringing one side of the analysis on to
18 the table, you probably need to bring the other on to the
19 same table.

20 MS. FRAYER: I agree that the 125 percent we
21 recommended, a single number, was not dealing with growth.
22 Because we anticipated that it would be dealt with in the
23 application, and I don't think we're against. I am talking
24 a little bit -- I should probably look to my clients, to
25 the members, and have them speak for this themselves. But
26 I don't think we're against adjustments for growth to the
27 extent that they represent growth accurately. We're
28 talking about what is the right parameter to represent

1 growth, which feeds into your revenues, probably load
2 growth is the best parameter rather than customer numbers,
3 because customer numbers could increase and you could get
4 no additional revenues out of that.

5 MR. THOMPSON: All right. Well, take Mr. Aiken's
6 formula. I take that because I understand it. It seems
7 fairly sensible to me in terms of a method for calculating
8 the extent to which capital spending is covered by the
9 price cap and growth.

10 Now, can you accept that as a reasonable method?

11 MS. FRAYER: Well, I understand the concepts that Mr.
12 Aiken had put into his formula and I accept those concepts,
13 in principle.

14 I think I need to think a little bit more about the
15 formula per say but the concepts, yes.

16 MR. THOMPSON: And Board Staff is saying Mr. Aiken's
17 approach doesn't have the inflation adjustment for older
18 stuff. Do you accept that, conceptually?

19 MS. FRAYER: No. I don't accept that.

20 Mr. Cowan clarify me, but the inflation adjustment is
21 not funded in rates.

22 MR. COWAN: Absolutely right.

23 MS. FRAYER: So there is no funding from it. It is
24 just that we expect that once they replace their capital,
25 they are going to have to spend this much more than they
26 had originally spent on the original piece of asset.

27 I have concerns about that, too, because as we
28 approach what I call the walls of wires, with aging assets

1 and replacement, that is a large burden and that could
2 derail incentive rate making.

3 MR. THOMPSON: Okay. Let's just leave that inflation
4 adjustment aside. But back to Mr. Aiken's concept for
5 determining the ambit of capital spending that the price
6 cap in growth covers, assuming you are comfortable with
7 that, then, conceptually, do you accept that under IRM you
8 should be ineligible to apply and recover that money,
9 because it is already covered?

10 MS. FRAYER: Sorry, what was the first part of your
11 question, because I think I lost you?

12 I understood the...

13 MR. THOMPSON: I am back to Mr. Aiken's concept for
14 calculating what capital spending the price cap and growth
15 in combination covers.

16 This goes back to Dr. Kaufmann's point. IRM covers
17 something.

18 MS. FRAYER: Yes. I agree with you on that.

19 MR. THOMPSON: Mr. Aiken is saying, This is what it
20 covers.

21 MS. FRAYER: Well, I think, in principle, I agree that
22 there's a portion of -- that the price cap covers some
23 portion of capital expenditures, and growth covers a
24 portion of capital expenditures. The question is: What
25 number?

26 MR. THOMPSON: And so just stopping there, do you
27 accept you shouldn't be able either to apply for what that
28 formula covers or be eligible to collect it?

1 MS. FRAYER: Of course. It is double-counting.

2 MR. THOMPSON: All right. So the materiality
3 threshold, if that's what it covers, should there be a
4 band, 10 percent or something, to eliminate marginal-type
5 applications around what's covered?

6 MS. FRAYER: There should, and, in effect, that is
7 what we were talking about, to the extent that price cap is
8 delivering 1 percent -- 1 percent growth in rate base is
9 covered or funded. We're not saying, Okay, at 1.01 percent
10 we want the trigger to kick in.

11 We're saying we will take the risk and responsibility,
12 but at 2 percent, because above two and higher we are
13 really getting into a funding crunch. There is material,
14 substantial impact on financial performance.

15 MR. THOMPSON: And so then, conceptually, can we agree
16 that the module approach that we're discussing shouldn't be
17 driven by ROE considerations?

18 MS. FRAYER: Well, in fact, I think the question --
19 let me actually go back. I think there was a presentation
20 in -- a slide in Mr. Cowan's presentation that talked about
21 - it is slide 5 - the criteria for the module.

22 The materiality threshold, the quote I have is that it
23 has a significant influence on the operation of the
24 distributor.

25 In my opinion, that's financial performance of the
26 distributor. That's the return.

27 MR. THOMPSON: All right, but I just want to come --
28 is the driver, conceptual driver, for the utility, what I

1 would characterize as a low threshold, the notion that you
2 should be, in IRM, kind of guaranteed your approved return?

3 MS. FRAYER: No. IRM never guarantees, and that's not
4 what we're advocating.

5 The IRM provides an opportunity to earn your allowed
6 rate of return if you meet the productivity targets set in
7 IRM. That's what we're trying to maintain, that
8 opportunity to get your allowed rate of return.

9 MR. THOMPSON: Okay. Now, my last question is: Your
10 125 percent has not been derived by attempting to measure
11 what the price cap in growth covers. You have come at this
12 in some other fashion.

13 MS. FRAYER: We started it with a rate base analysis,
14 and that refers back to what is covered, if you will, by
15 the price cap mechanism, with some window in there, you
16 know, some -- I don't know if you want to call it window of
17 error or discretion.

18 But I think once the Board's proposal came out and
19 they have asked for a very specific metric, that's when we
20 then moved to try to relate it to that specific metric.

21 MR. THOMPSON: Let me close with this. The question
22 the Board asked is: What is the appropriate capital
23 expenditure to depreciation threshold value to determine
24 materiality?

25 MS. FRAYER: Hmm-hmm.

26 MR. THOMPSON: If my client suggests that it is the --
27 it's the percentage depreciation calculation, plus a margin
28 of 10 percent, this depreciation to -- sorry, CAPEX to

1 depreciation percent, plus a margin of 10 percent, which
2 the Board determines or gives us the rules to determine is
3 the amount of coverage for capital spending that the price
4 cap and growth, in combination, produce.

5 Is that an answer to the question that you can live
6 with?

7 MS. ANDERSON: Lynne Anderson from Hydro Ottawa. You
8 are saying you want to sort of a 10 basis point sort of
9 threshold added on?

10 MR. THOMPSON: Right.

11 MS. ANDERSON: The way I would see that, if we can
12 agree with the work done by Mr. Cowan, which said that
13 20 basis points were being funded by the mechanism, to me
14 that would end up with a threshold of 130. That would be
15 20 funded by the mechanism, by the escalator, and then your
16 10 to add in.

17 So not dissimilar to the approach that we took, adding
18 a little bit more perhaps than we did.

19 MR. THOMPSON: Well, let me be more specific.

20 I'm saying Mr. Aiken's approach, subject to whatever
21 ruling the Board makes on inflation, plus 10 basis points.

22 So if his is 150 -- he does it on a utility-specific
23 basis. He comes up with a percentage in his illustrations
24 of 150 percent. There may have to be an inflation
25 adjustment on top of that. I'm saying you have to add a
26 band to eliminate the marginal plays, conceptually.

27 Forget about the width of the band. Conceptually,
28 does that work?

1 MS. ANDERSON: I would say, I guess, from my
2 perspective, I think conceptually that is what we did by
3 not recommending something that was only at the amount
4 funded by the escalator. At the 125 percent, we have
5 essentially incorporated a small band.

6 MR. THOMPSON: Well, there obviously seems to be
7 disagreement on what is funded by the mechanism.

8 MS. ANDERSON: Well, we can --

9 MR. THOMPSON: What number is it? The other numbers
10 are far higher.

11 MS. ANDERSON: We can accept Mr. Cowan's position on
12 that, that it was the -- if the escalator is 1 percent,
13 that the amount funded by the escalator is about the 20
14 basis points. If it was 2 percent, it would be 40.

15 MR. COWAN: With one adjustment. I really don't think
16 you mean 20 basis points.

17 MS. ANDERSON: Sorry, 20 percent. Sorry, 20 percent.

18 MR. COWAN: But that indeed is one component, and I
19 also would suggest that Mr. Shepherd has identified the
20 other component that arises by virtue of the fact that
21 there are old assets and that the value in your cost stream
22 attributable to assets that are being retired over time
23 means that the depreciation expense will automatically
24 decline over time.

25 So that is another component that I did not express in
26 the analysis that we did.

27 MR. THOMPSON: I will leave it there. Thanks, Mr.
28 Chairman.

1 MR. SOMMERVILLE: Ms. Frank.

2 MS. FRANK: I wanted to make a comment, but I was
3 going to wait for my turn on questions on this.

4 But the assumption I think Mr. Shepherd has made is
5 that the rate base is actually declining. They're
6 depreciating over time the assets are declining. I think
7 the language you used was the utility was harvesting their
8 assets.

9 I think you have to assume that the rate base is
10 staying the same. The depreciation is not --

11 MR. SHEPHERD: I said --

12 MS. FRANK: When you said there is money available to
13 fund part of this growth, you assumed that the assets were
14 declining. That assumes you harvest.

15 MR. SHEPHERD: No, I didn't say that.

16 MS. FRANK: I don't think that is the direction you
17 wanted us to do. So there is no decline. So the premise
18 that there is money available because assets are declining
19 I think is a faulty premise.

20 MR. SHEPHERD: So I didn't actually say that.

21 What I said was if you look at the old assets, the
22 amount that it costs you to cover the cost of the old
23 assets declines each year only on the old assets. Of
24 course that's math.

25 MS. FRANK: But then that would mean you have to do
26 the one time just to sustain your assets. That money -- we
27 are not talking about capital expenditures being less than
28 depreciation.

1 We're assuming that at equal has to happen to sustain
2 the value. That means there is no money being thrown off
3 to fund an increment over one time. So no money thrown
4 off.

5 MR. SHEPHERD: Are you disagreeing that the annual
6 cost of the old assets declines?

7 MS. FRANK: I am disagreeing that the value to sustain
8 assets declines, because you have to replace them.

9 MR. COWAN: I would suggest that what happens is that
10 the cash flow will stay the same, insofar as the rate has
11 not been adjusted.

12 So therefore, the approved rate base has stayed the
13 same.

14 MS. FRANK: Right.

15 MR. COWAN: The financial income will increase,
16 because the amount of the annual depreciation, absent
17 reinvestment, will decrease.

18 MS. FRANK: Oh, but that's... that's the flaw. There
19 is reinvestment, right. You have to reinvest to maintain,
20 at least one time.

21 MR. COWAN: So the issue then becomes distinguishing
22 reinvestment from growth.

23 MS. FRANK: Right.

24 MR. COWAN: Ms. Frayer has said 2 percent growth.

25 MS. FRANK: Right.

26 MR. COWAN: So not only reinvestment to sustain, but
27 growth.

28 MS. FRANK: Right.

1 MS. FRAYER: Yes. It was an aggregate number.

2 MS. FRANK: Hmm-hmm.

3 DR. KAUFMANN: Can I just make a point? I think these
4 issues are tied in with your inflation escalator, to some
5 extent. And whether or not there was the question raised
6 of whether or not it makes sense to have a higher inflation
7 escalator for companies that have older plant.

8 I think if you just look at what you have here, I
9 think implicit in the inflation escalator adjustment is the
10 idea that if you have an older capital stock, then you are
11 going to have a lower value of reported depreciation
12 because of the fact that you have assets that were booked
13 in the 1950s at book prices and say you need to adjust for
14 that.

15 So I think that is where the inflation escalator comes
16 in, and then you have a lower threshold. All else equal,
17 for any amount of capital expenditures if you don't adjust
18 up for that, the companies that have old assets are going
19 to have a lower threshold it will be easier for them.
20 That's why I think that's the motivation for that inflation
21 escalator. I think given that, it does make sense to have
22 bigger escalators for companies that have older assets.

23 But it does raise the question and I have a couple of
24 questions to you which I don't expect to solve this puzzle
25 today, but PowerStream -- it is counterintuitive that
26 PowerStream would have a higher implied age.

27 If you just look at what your depreciation calculation
28 is, it's depreciation expense divided by gross plant and

1 equipment.

2 Obviously the gross plant and equipment --

3 MR. COWAN: Provided into gross plant and equipment.

4 DR. KAUFMANN: It is depreciation divided by -- it is
5 the second column divided by the first.

6 MR. COWAN: The first column, fair enough. It works.
7 We get...

8 DR. KAUFMANN: Either way, the inverse of that.

9 MR. COWAN: Right.

10 DR. KAUFMANN: Okay, so if you have newer plant, then
11 the gross value of that plant is going to be higher, all
12 else equal. Right?

13 MR. COWAN: In dollars of today, because it is in
14 dollars of today is your suggestion?

15 DR. KAUFMANN: That's right.

16 I think implicitly, there is an assumption that your
17 depreciation expense will rise in line with that. Is that
18 correct? All else equal.

19 MR. COWAN: Yes, indeed.

20 DR. KAUFMANN: Okay. So that raises two questions
21 that I had. One is whether there has been a change in
22 regulatory depreciation rates over time, in general? And
23 it seems to me there could be, on assets and lines, that
24 depreciation schedules could be greater today than they
25 have been in the past.

26 MR. COWAN: In general, they have not changed.

27 There are a couple of individual instances where they
28 have been adjusted, but across the board, they have been

1 pretty stable for the period of, I am going to venture, a
2 long period. More than 25 years.

3 DR. KAUFMANN: Okay. The second question was a more
4 general question, about the mix of assets within capital.

5 It seems to me that when we're talking about old
6 assets, what we're talking about is the infrastructure. We
7 are not talking about all companies probably have
8 relatively the same age for relatively new things, like
9 computer systems and OMS, and SCADA and that sort of thing.
10 That probably varies from companies to company to the
11 extent they have that, but those are significant capital
12 assets too and that is going to be -- those are rapidly
13 depreciating assets.

14 So it seems to me if you have a lot of old
15 infrastructure assets and new computer assets, that that's
16 going to tend to distort the measured depreciation in some
17 sense. You are going to be kicking out the big
18 depreciation number for the new rapidly depreciating
19 assets. And I think that sort of capital mix issue could
20 tend to distort this calculation.

21 MR. COWAN: Would you agree -- indeed, I did raise the
22 mix issue as one potential reason for the particulars
23 associated with PowerStream, without any particular
24 knowledge of what their circumstance is in relation to
25 others.

26 I think the question is whether the community of all
27 of the distributors is significantly different across the
28 spectrum of them with regard to the amount of investment

1 they are making in IT-related faster depreciating assets.

2 So I am -- would you agree that really it's the
3 question of the mix across the array of all distributors
4 that would distinguish your point as being useful to make a
5 difference here?

6 Or that, or how much are you thinking that is
7 significant?

8 DR. KAUFMANN: I don't know. But I think it could be
9 significant. Because if you have companies that have old
10 assets, and that means their depreciation expense on those
11 assets is relatively low, and yet they have -- yet they
12 have you know these relatively newer systems, and if that
13 tends to be constant across the industry, I guess that's
14 really the distinction. We have two assets. We have the
15 old infrastructure assets, or the infrastructure assets
16 where the age is likely to vary, to a greater degree among
17 companies than the newer IT-type assets.

18 MR. COWAN: All I can say in response is that we did
19 actually do a review of this about a year ago in terms of
20 what are the proportions and what is the effect of
21 different depreciation rates.

22 I reached the conclusion that it was not a distinctly
23 different factor across the community of distributors.

24 I can't cite -- that was the conclusion. But there
25 was a lot of numeric analysis behind it, which I can't
26 bring to the top -- right off the top, but I do recall that
27 we had the conclusion that the mix of short-lived assets
28 can be -- shorter life assets and longer life was not

1 variant, in particular, across all of the distributors.

2 Now, the case in PowerStream's case, I don't know the
3 particulars, but I am sufficiently confident to make a
4 statement here that the work we did said that the mix was
5 not significantly different in terms of contributing to the
6 depreciation expense.

7 DR. KAUFMANN: Okay. One thing I am not trying to do
8 is complicate this anymore --

9 MR. COWAN: No.

10 DR. KAUFMANN: -- by introducing new factors. I think
11 simplicity on the threshold issue is a virtue. But I think
12 what this discussion has raised for me is whether or not,
13 whether or not we're overly aggregating in some sense in
14 some of these calculations.

15 Perhaps those are issues that are better dealt with in
16 applications than in the formula itself. But I think these
17 are some of the issues that I think might be relevant to
18 think about, in terms of an application, and maybe having
19 some type of band around the threshold to reflect the fact
20 that there is uncertainty that goes into even these
21 calculations because we're not controlling for a number of
22 things.

23 MR. SOMMERVILLE: Ms. Girvan.

24 MS. GIRVAN: I just had sort of a general question and
25 it is really to the LDCs...

26 Sorry. I have a general question really and it is to
27 the LDCs around the room, and there are lots of LDCs around
28 the room, and we haven't heard too much from them.

1 What I am really looking for is the sort of practical
2 realities of what we're proposing, because I guess I have
3 heard Ms. Frayer say that that side of the table believes
4 that this will be an exception and not the norm.

5 So when I look within the industry, what I see is sort
6 of significant capital expenditures, I think of things like
7 CIS systems or I see transformer stations, or a building,
8 things like that. And I am just wondering, because all of
9 these LDCs are rebasing and because we have a three-year
10 term, are we really going to see a lot of applications from
11 a practical perspective, wherever the threshold is? Let's
12 say it is 150 percent of depreciation.

13 But I would assume people like Ms. Frank and Ms.
14 Anderson, in particular, probably know what's going to
15 happen over the next three years with their companies and
16 they're currently, you know, have gone through these
17 rebasing applications.

18 So I guess what I'm really looking for, is it going to
19 an exception or are you identify that every utility in the
20 room, in the context of this three-year plan, actually sees
21 they're going to need to apply for the capital module?

22 MS. ANDERSON: I am not sure we can speak on behalf of
23 the whole industry.

24 MS. GIRVAN: No, no, I'm not asking --

25 MS. ANDERSON: On behalf of ourselves, I think we have
26 been long on record as indicating, you know, that there is
27 a need mere because of aging infrastructure because of the
28 need to invest in capital, and that has been a main theme

1 at the time of rebasing. That doesn't go away during the
2 three-year period.

3 So I think where there is a lot of conceptual things
4 here, what we're talking about here probably dwarfs, from
5 an impact on our financials, what we spent the last two
6 days talking about on the productivity factor, where we
7 indicated that 30 basis points was material to us there.
8 That will be dwarfed by the sort of -- this module or the
9 inability to use this module.

10 So it is certainly very critical to us, and so
11 critical that I think, as Ms. Frayer indicated, the
12 alternative, if we don't meet the threshold, is a cost-of-
13 service application.

14 MS. GIRVAN: But you are really saying, then, in your
15 view, it is not the principle, it will be an exception?
16 Many LDCs will be applying each year for this capital
17 module?

18 MS. ANDERSON: I really can't say that, because
19 certainly they have to take into account their growth, and
20 there are a number of LDCs that have a lot higher growth
21 and perhaps Hydro Ottawa does, and that would certainly
22 have to be taken into account.

23 If you have very high growth and your capital isn't
24 that much higher in accordance, then you would be self-
25 screening yourself and not applying.

26 So we are looking for a threshold that gives us that
27 opportunity to review that and go forward.

28 Not everyone has the same age of assets. Not everyone

1 has -- in their rebasing application has focussed as much
2 attention on this, and I think that is an indicator,
3 perhaps, of what could happen going forward.

4 MS. FRANK: I just want to add a little bit about -- I
5 appreciate there seems to be a horrendous concern that this
6 would add incredibly to the volume of the work to the Board
7 and Staff, in terms of the capital module, and I am not
8 convinced it would.

9 Certainly not everybody will apply. There is no doubt
10 about that. One-third of the actual distributors will be
11 coming, anyway; right? They're there, anyway. So we're
12 down to -- it is not the over 80. It is down somewhere
13 under 60, right, that we are talking about, in any case,
14 and then it is a portion of that group.

15 Then what would we look at, even if they do qualify?
16 It is only the capital, nothing else.

17 Now, when I look at what happens in terms of
18 examination and days of effort to review the capital, I
19 think it could be done written, but even if not, I imagine
20 it is no more than one day. One day, that's it, because
21 you are not actually doing the whole cost of service. All
22 you are doing is saying, Here's my capital. Do you buy my
23 capital? And, if you do, let the mechanism go through.

24 So this desire to somehow prevent people from coming
25 forward with their capital because we can't handle the work
26 volume, to me, is problematic. I think you can handle the
27 work volume, and I do you think you have to look at what
28 the impact is. We have been waiting for the opportunity to

1 talk about the work we did last night, and I think Lynne is
2 going to talk about it, but I think this is it. What
3 happens if we actually don't get funded for that escalation
4 that -- Bill, we agree with you. The 50 percent increase,
5 just to keep the same level of assets in place, the dollars
6 go up. We totally buy that number, but what does it mean
7 to the company?

8 I am going to hand this stuff out, and Lynne is going
9 to talk to it.

10 MS. ANDERSON: Sure. I guess it was going to be in
11 the form of questions to Mr. Cowan, which was his slide 11,
12 and it is very much a conceptual question of, Mr. Cowan,
13 you said there is two or three adders, and that's the
14 concept that we're struggling with, because we don't see
15 them as adders.

16 We can agree that your first -- if you look at slide
17 11, your first line says, "How much is being funded by the
18 escalator?"

19 You're saying somewhere between 20 and 40 to be what
20 the escalator is. Then there is this inflation factor.

21 From our perspective, this inflation factor is not
22 being funded by the mechanism. Mr. Cowan, do you agree
23 with that?

24 MR. COWAN: I absolutely agree with that.

25 MS. ANDERSON: So then that is where our problem came,
26 because we started looking at: What is the impact on the
27 ROE of an LDC, for this portion that is not being funded,
28 that is now being proposed to be added into a threshold?

1 So we did, you know, a fairly rough calculation to
2 come up with the decrease in ROE on an annual basis as
3 nearly 100 basis points.

4 So over a three-year period -- and this is the poor
5 utility that is at 49.9, you know, a threshold of 149.9 and
6 doesn't meet the threshold, over the period of three years
7 could be losing 300 basis points on their ROE, which
8 clearly is extremely material.

9 So that's the concept that we're struggling with is,
10 in the proposal for the threshold, we don't think these
11 numbers would be added. We think -- we're saying, Okay, if
12 you buy the 150, then 120 is being funded by the mechanism,
13 and then shouldn't you be subtracting the two and not
14 adding them?

15 And that's really the material concept that we're
16 trying to get to. This 100 basis points per year is just
17 very, very material to us.

18 MR. COWAN: If we accept the notion that there is some
19 erosion on ROE estimates, which I don't conceptually have a
20 problem with, there is -- I do have a problem associated
21 with the particular -- I mean, we haven't examined whether
22 99 basis points is it or not, but if it is anywhere close,
23 it is still big in terms of potential effect on ROE.

24 The intent in the inflation adder, and I do suggest it
25 still should remain as an adder if it stays in the
26 algorithm at all, is to address the question of the value
27 in current dollars.

28 It is not a component to address a revenue

1 requirement, a return on equity or any such value. The
2 purpose of it is simply to be able to figure out what
3 constitutes unusually large spending in a utility that
4 would be what might be seen as larger than conventionally
5 required to sustain the asset base.

6 The thought behind it is that the asset base will need
7 to be reinvested in every year, but that reinvestment is in
8 dollars of today.

9 So if you are saying -- if you are attempting to
10 compare the funding that is already acquired through
11 depreciation for a steady-state utility, not one that is
12 growing, and taking the depreciation number as a starting
13 point, you at a minimum have to adjust it for inflation.

14 Then on top of that, you need to consider whether or
15 not there is funding already being provided through another
16 means and add the two together in order to determine a base
17 floor.

18 So I have stated I guess in my final remarks - and
19 this is an amplification to the question from Mr. Vlahos
20 when I did that this morning - that the fundamental
21 question is whether you want to use this tool to detect
22 unusually high spending, or whether you want to use it to
23 make a utility whole against its rate base.

24 I am suggesting it should be the former, because the
25 model has already been determined, that it's going to be an
26 incentive-based regime and it needs to be such in its
27 wholeness with a full model, IRM 3, not IRM 3 cost of --
28 for OM&A, and cost of service for capital spending.

1 That's why I see this tool as a test not an -- an
2 entry level criterion, not a control variable to determine
3 whether or not there will be a ROE loss.

4 It is absolutely true that the pressure will be on
5 ROE. I agree with that. This analysis demonstrates it.
6 As to the amount and the size, I am not ready quite to buy
7 that it is 99 basis points.

8 Others in the room may have a view.

9 MR. SOMMERVILLE: Ms. Anderson, you can respond to Mr.
10 Cowan as you wish. It would be helpful for the Board and
11 for the record if you could state very explicitly, in sort
12 25 words or less, precisely what it is that your concern is
13 about this, the 50 percent adjustment.

14 That would help us as we look at things, rather than
15 trying to discern it through this particular portion of the
16 dialogue. Dialogue is great, but there is also a place for
17 a very explicit statement of your concern about it. If you
18 could do that, that would be helpful.

19 MS. ANDERSON: From my perspective, the concern is
20 that it is the utility that is having to fund this 50
21 percent factor that relates to our capital spending.

22 Therefore, in order to achieve our ROE, if it was
23 possible, it is likely de facto increase beyond the
24 productivity factor that has been set by the Board if we're
25 to achieve our return.

26 The alternative is not to achieve our return, which
27 obviously is not something we would seek. So that's the
28 fundamental concept, is: Who should be funding for these

1 capital expenditures? We don't expect to be held harmless.

2 Perhaps there is a middle road between your two
3 points. What we're saying is we need a reasonable ability
4 to achieve it, and to bridge 100 basis points is just too
5 large.

6 MR. VLAHOS: Just following up on this, are you
7 suggesting that in the case of utilities that would not
8 qualify for the CAPEX mechanism, that a priori they're
9 going to be facing lower rates of return on equity? Is
10 that what you're suggesting?

11 MS. ANDERSON: Correct.

12 MS. FRANK: Can I add? It is not only lower by the
13 100 basis points. That's in year one.

14 MR. SOMMERVILLE: It's cumulative.

15 MS. FRANK: It's cumulative. So year 2, you're at
16 200; year 3, you're at 300 basis points lower. That is
17 already the number that the Board Staff has said gives them
18 some concern and we should have a look at it.

19 So to me, this factor, if you can't find productivity
20 to eat into it, means you are off of incentive regulation
21 before the three years are up. This factor alone will do
22 that.

23 So that's why we're so concerned, and that's why it
24 really was the large distributors, as we were in the
25 working group, said we need to deal with capital. Capital
26 is a serious problem here and we need to have some special
27 module to deal with capital, because incentive regulation
28 without dealing with capital cannot be long life.

1 So this notion now that it is a threshold that only a
2 few can meet, I don't think that was ever the concept.

3 MR. SOMMERVILLE: Dr. Kaufmann's point of view is, if
4 I can characterize it, Dr. Kaufmann has suggested that
5 there is, in fact, a substantial funding through the IRM
6 process for capital spending that needs to be accounted
7 for.

8 Dr. Kaufmann, have I got that right?

9 DR. KAUFMANN: Yes, yes.

10 MR. SOMMERVILLE: So that the gap that you are
11 describing is not as wide as you may be describing it.

12 MS. FRANK: Actually, the suggestions that were made
13 by several people that we add this on to the stuff that Mr.
14 Aiken was doing.

15 So that's what we're arguing with. You don't add it
16 on.

17 I don't think we're arguing that the amount that you
18 are getting through the formula and the amount you get for
19 growth, we do not want that money back. We do not want to
20 double-dip. But we're saying, Don't add this on top.
21 That's our problem.

22 MR. SOMMERVILLE: That's because it may make sort of a
23 theoretical sense to make this adjustment, in the real
24 world, your utilities are actually funding that change.

25 MS. FRANK: Right.

26 MS. ANDERSON: Correct.

27 MR. SOMMERVILLE: So the theoretical adjustment is too
28 large and is not -- doesn't work in the real world, because

1 you guys have actually, under this arrangement, basically
2 have to fund that change --

3 MS. FRANK: Yes.

4 MR. SOMMERVILLE: -- fund that adjustment.

5 MR. COWAN: I agree that is exactly the problem and
6 that the panel is left then with the question of whether or
7 not to use a threshold that is based on extreme spending
8 requirements.

9 MR. SOMMERVILLE: Capital or the rates.

10 MR. COWAN: Versus rates, yes.

11 MR. SOMMERVILLE: Mr. Shepherd.

12 MR. SHEPHERD: I listened to Ms. Anderson, and while
13 she was talking I went to their, the Hydro Ottawa numbers
14 for 2007.

15 Your actual revenue increased from 2006 and 2007 by
16 about \$11 million.

17 So since 57 percent of your revenue goes to feed your
18 capital requirements, that would produce 49 million in
19 capital spending.

20 And you had 38 million in -- if you just do the math,
21 and you had 38 million in depreciation, as well, so you
22 could have spent \$87 million and you spent \$69 million. I
23 don't understand how that's consistent with the big problem
24 you are talking about.

25 MS. ANDERSON: The increase between 2006 and 2007 was
26 related to a concern we have with the regulatory process
27 that sets rates from May 1st, even though the base year was
28 a calendar year.

1 So that in 2006, our revenue was otherwise lower than
2 it should have been, because the revenue increase didn't
3 start until May. So by 2007, we had a full year of our
4 2006 rate increase.

5 So it's not really fair to compare those two years,
6 because one related to an under-funding of the revenue in
7 2006.

8 MR. SOMMERVILLE: Let me just say, I would rather we
9 stayed away, to some extent, the sort of zeroing-in,
10 perhaps, on the specific performance of specific utilities.

11 I understand the urge to do that, and the attraction
12 of it, Mr. Shepherd. But by the same token I think we need
13 to take sort of a bit of a step back and you may want to
14 look at those numbers and posit a fictional utility and
15 make that same kind of point, rather than have Ms. Anderson
16 perhaps in a position where she sort of didn't expect to be
17 in and defending the specific performance there.

18 Ms. Brickenden.

19 MS. BRICKENDEN: Just a point of clarification since
20 Andy isn't here to help us out.

21 In the working group discussions, when we were
22 developing the concept of a module, Andy had pointed out
23 several times to remember that, yes, while the price cap
24 adjustment does deal with what he termed "business as
25 usual," perhaps reinvestment needs, it was identified by a
26 number of the - and recognized by I think all of the
27 working group members - that there will be spikes.

28 So that the exceptions are what the module is intended

1 to try to capture, and when he did his example, he tried to
2 separate out those exceptions. It was very difficult, I
3 think as Julia pointed out, to separate what specific types
4 of investment needs might qualify. Therefore we went to
5 this macro-type of threshold.

6 So while we do all agree that the price cap mechanism
7 will have some injection into the capital spending needs,
8 the assumption is that it's business as usual. Not
9 necessarily aging plant, or something...

10 MR. SOMMERVILLE: Well, some would say aging plant is
11 business as usual.

12 MS. BRICKENDEN: Not all of the members of the working
13 group --

14 MR. SOMMERVILLE: I understand that, but aging plant
15 is a phenomenon that is endemic. It is a component of the
16 practice.

17 So I mean, I think that the Board in its report is
18 looking, and very specifically, at a mechanism that would
19 provide extraordinary relief.

20 I mean, I think that much can be discerned from the
21 Board report pretty clearly. We are looking for a module
22 that is -- that would provide for an extraordinary kind of
23 relief in an extraordinary circumstance, and not dealing
24 with this business as usual business and not dealing with
25 the normal incidence of utility practice. But something
26 that is outside of that. Something that requires a special
27 intervention to address.

28 Ms. Conboy.

1 MS. CONBOY: Yes. Just to add to what Lisa was saying
2 when she was referring to aging plant.

3 We were talking - correct me if I am wrong, the rest
4 of you that were in the working group - the differences in
5 aging plant I think when Lisa is talking about business as
6 usual, there is a component of aging of plant in business
7 as usual.

8 What I think you are referring to was the spike, was
9 it in the '50s, I think, where there was a huge increase in
10 infrastructure. So we are coming up against this wall of
11 wires or this complete ramp-up of the aging of plants.
12 Luckily it is not happening so much where we are, but that
13 is, I think, what Lisa was trying to address.

14 MR. SOMMERVILLE: I can understand that and I can
15 understand where there may be, in specific instances, and
16 that's what we're really trying to identify here is when
17 you hit something that is that extraordinary kind of event,
18 that there is an option for you, within the IRM regime, to
19 manage that. But it is not, it's not a mechanism that is
20 designed to be normal or usual, or even deal with -- I
21 think to some extent to Mr. Thompson's reference -- the
22 idea of a band around normalcy.

23 Mr. Shepherd.

24 MR. SHEPHERD: This is another reference to the wall
25 of wires and the, you know, the time that we're all going
26 to die shortly because of this huge spending requirement.

27 I have been asking for a year, in the working group,
28 in a very presentation we have made, can somebody please

1 give me data to show that this actually is a problem?

2 The answer is nobody has. And I think we shouldn't
3 assume that this is going to happen just because everybody
4 says it's going to happen.

5 MR. SOMMERVILLE: I think, I guess further to Mr.
6 Thompson's point and his exchange with Ms. Frayer, is the
7 idea that the Board will, in the context of an
8 extraordinary application under this module, still be
9 exercising a review that approaches the three key factors:
10 Materiality, need, and prudence.

11 So that this is a qualification exercise.

12 There is a work load dimension to it that we have to
13 be mindful of, both from the standpoint of the utilities
14 and from the standpoint of the Board.

15 So we are in that together, to some extent. So as the
16 Board considers this subject matter, we are going to have
17 to deal with simplicity of application.

18 We would rather not see regulatory costs spike in
19 order to develop a highly complicated formula or
20 consideration of whether an application should be made
21 under the IRM for the special module, and sort of
22 simplicity of application and sort of a general kind of
23 adoption -- and I think this comes from the Board's report
24 quite clearly, and, Ms. Hare, you can correct me if you
25 think I am getting this wrong, but I think the Board, as it
26 considered this, was really looking at some kind of a
27 screening process that would identify genuine problems, and
28 that's to your point, Mr. Shepherd.

1 I am inclined to say that our discussion of this
2 subject matter, unless someone has a burning interest to
3 add to it, I think the positions of the respective parties
4 are on the record.

5 If you think that your point of view is not on the
6 record, speak now or forever hold your peace.

7 **QUESTIONS/DISCUSSION:**

8 MR. HARPER: Actually, Mr. Sommerville, if I could
9 maybe -- actually, there is a couple of points I would like
10 to follow up on, clarification on things that have been
11 raised, and I am not too sure if I am quite clear on them,
12 and I think it might be useful for others.

13 One is there has been, I guess from yourself and from
14 Dr. Kaufmann, continued reference to the fact that the
15 existing -- the IRM mechanism itself provides for some
16 funding of capital expenditure.

17 I just wanted to ask Dr. Kaufmann, if you look at the
18 approach that has been taken by, say, Mr. Aiken, where his
19 formula does recognize the IRM, you know, in inflation
20 minus productivity adjustment. It does recognize growth in
21 the utility. Over and above that is -- and it allows for
22 that in the calculation of the threshold.

23 Is there additional capital spending allowance that
24 the IRM mechanism naturally provides over and above what is
25 already captured in the formula that the Board should be
26 aware of and maybe adjust for in this band or whatever, or
27 is that sufficient to cover what you believe is the amount
28 of capital funding that is provided through a standard IRM

1 adjustment mechanism?

2 DR. KAUFMANN: I haven't reviewed Mr. Aiken's
3 calculations in any real detail, but, in general, the two
4 components of IRM that are going to lead to additional
5 funding are the pricing increase through the price cap
6 index and the additional revenues through growth.

7 Both of those are --

8 MR. HARPER: So to the extent a criteria covers those
9 two issues, it addresses the point you have been making
10 about there is natural funding available through the IRM
11 mechanism and we don't have to worry about missing
12 something through the process?

13 DR. KAUFMANN: That's correct.

14 The funding that's being reflected there is the
15 industry's historical trend in capital spending.

16 MR. HARPER: Okay.

17 DR. KAUFMANN: So the capital module really only
18 becomes an issue to the extent that the future departs from
19 the past, which is what is reflected in the price
20 adjustment.

21 MR. HARPER: Okay, thank you. I think that is useful
22 in my mind. The other issue is, and there hasn't been much
23 raised on, is, Mr. Shepherd, your sort of reference to
24 whether we include or exclude the productivity factor
25 adjustment in the capital spending.

26 I guess the way I was understanding - I just want to
27 see if I can characterize this and see if you agree - it's
28 a matter of, if you assume that a utility's proposal for

1 capital spending already included some significant effort
2 of productivity, then it would be fair to subtract the X.
3 If you assume it doesn't, then you shouldn't subtract the
4 X.

5 That is the way I would sort of characterize whether
6 or not you need it or don't need it.

7 MR. SHEPHERD: No. What I was saying is that the
8 threshold should assume that you are getting the inflation
9 increase in your rates --

10 MR. HARPER: Yes.

11 MR. SHEPHERD: -- and that if you are going to spend
12 money on capital, all of your capital budget will have
13 productivity in it.

14 Therefore, you wouldn't deduct that, because your
15 actual spending will be that much lower because of
16 productivity. Otherwise, you are assuming that your capital
17 spending has no productivity in it.

18 MR. HARPER: I guess maybe this comes back to maybe
19 the difference between what Mr. Cowan was talking in his
20 threshold and you're talking in yours.

21 Mr. Cowan, out of the four people that talked, you
22 were talking about basing a threshold on historical capital
23 spending, whereas most other people were looking at a
24 threshold based on forecast capital spending.

25 If you're using forecast capital spending, Mr.
26 Shepherd, and you assume the forecast already incorporates
27 some productivity in it, maybe -- I appreciate I am
28 sounding like -- I am talking like Susan Frank would talk,

1 but I am just trying to make sure I understand the issue.
2 I am just making sure that we aren't missing something or
3 being fair in the process.

4 MR. SHEPHERD: What that resolves to, then, is the
5 question of whether you consider productivity in the
6 spending in the threshold or in the application.

7 MR. HARPER: Okay. Maybe that's -- maybe that's --

8 MR. SHEPHERD: If it's a threshold, then you would not
9 deduct productivity. You would just increase by the
10 inflation factor. If you consider it in the application,
11 then in the threshold you would reduce.

12 MR. HARPER: Okay, that's useful from my perspective.

13 MR. SOMMERVILLE: Very helpful.

14 MR. HARPER: The final thing is there has been some
15 discussion - I think you made a reference to it, Mr.
16 Sommerville - about how complicated we make the formula.
17 We have things in the formula we can put in, like the
18 inflation factor and the productivity factor that is
19 standard to everybody.

20 Then there is things like the growth rate for the
21 utility, to some extent the age of the assets of the
22 utility, and things like that, that are going to be utility
23 specific. The more we try to incorporate those into the
24 threshold calculation, the more complex it becomes.

25 On the other hand, and I guess, Ms. Frayer, yours is
26 probably the simplest -- and I don't mean that in any
27 derogatory sense -- the simplest of the mechanisms. I
28 guess my assumption would be, and maybe see if your clients

1 would agree, that because you don't take into account
2 growth or historical, if somebody went through that
3 mechanism and said, On a first blush I pass, but when I
4 recognize my own growth rates and whatever is going on, I
5 truly don't meet the spirit of this, and so I am not going
6 to file an application.

7 Whether that would be the expectation the Board should
8 have, if we were to apply a simple formula that somebody
9 wouldn't come forward just because they passed on the face
10 of it, but when you got into the details of it, it was
11 clear that on an individual basis they would fail, and
12 therefore the expectation of the Board would be we wouldn't
13 see them in front of us to begin with.

14 MS. FRAYER: Just to answer that, and, utilities,
15 please step up, but my prospect is a utility would go
16 through the entire exercise, down to the details of
17 actually probably calculating a revenue adder that it would
18 be requesting, before it actually made any filings to the
19 Board.

20 That's just, you know, good business practice.

21 MR. HARPER: Okay, thank you. That's helpful. That's
22 all I was wanting to clarify.

23 MR. SOMMERVILLE: The Board would probably be
24 developing filing guidelines that would be -- that would
25 guide that process, to some extent. Not just guide it, but
26 shape it.

27 Mr. Cowan, you get the last word before we take a
28 short break.

1 MR. COWAN: A question of clarification for Mr.
2 Shepherd with regard to his model, and it's actually the
3 sort of formulaic second last slide, where he says, Here is
4 the proposed threshold.

5 I guess just in hearing how this works, I must confess
6 I didn't fully understand how the theory works that you
7 have brought forward.

8 I guess I am trying to visualize here how it works and
9 the rationale for the 50 times the average three-year
10 percent organic revenue growth, exactly what that is? I
11 have lost the thread of it.

12 MR. SHEPHERD: I was probably -- I ran through it too
13 quickly, I think it is fair to say.

14 The formula we're proposing is 148 percent of
15 depreciation expense, plus 36 percent, times the growth
16 rate, because that's what IRM gives you.

17 That's what our calculation of the IRM implications
18 gives you.

19 MR. COWAN: Okay.

20 MR. SHEPHERD: Then we're saying, But you should
21 increase it by a third as a dead band.

22 MR. COWAN: Oh, the third is the dead band notion? I
23 understand.

24 MR. SHEPHERD: That's right. So this was increasing
25 the 148 percent by a third, increasing the 36 by a third,
26 and getting these results. They're rounded.

27 MR. COWAN: I understand. Thank you.

28 MR. SOMMERVILLE: We will take 15 minutes, reconvene

1 at -- actually, we will reconvene at quarter to 12:00, at
2 which point we will have the submissions.

3 In the break, I wonder if you could just determine if
4 you are going to make submissions, if there is some order
5 that you would like to impose, and we will go from there.

6 We would look to have the submissions to be no more
7 than ten minutes long, and is there any comment with
8 respect to that? Is everyone satisfied that the questions
9 on this last module? We've finished that discussion?

10 Okay. So we will reconvene at quarter to 12:00 and
11 conclude. We are going to be a little later. Does that
12 create some difficulties for anybody? Thanks very much.

13 --- Recess taken at 11:23 p.m.

14 --- On resuming at 11:45 a.m.

15 MR. SOMMERVILLE: Thank you. Thanks. Thank you very
16 much. We have reached the point in this consultation where
17 we will have summations. As I have indicated, we will
18 limit them to ten minutes each.

19 I do have a list and I have numbers beside the list
20 which indicate order. Dr. Kaufmann, you are batting the
21 lead off.

22 **FINAL SUBMISSIONS**

23 **SUBMISSION BY DR. KAUFMANN:**

24 DR. KAUFMANN: Thank you. I am just going to
25 reinforce some of the main points I have already made. I
26 have a total of nine points, and I promised Lisa I would do
27 this in nine minutes. The first is on the issue, four on
28 the productivity factor, four on the stretch factor. And

1 one is on the capital module. On the productivity factor,
2 one is the issue of Ontario data. We all know that that's
3 what we want to use in the long run, but it is not feasible
4 currently to rely only on Ontario data and because of that,
5 I have used a proxy in the calculation for the productivity
6 factor.

7 I believe my proxy calculation provides a reasonable
8 measure, given all of the information that exists in
9 Ontario, and it can be easily and naturally applied to
10 Ontario data in IRM 4.

11 The second issue is the physical capital measure, and
12 one has depreciation.

13 I know I was very critical of this in my opening
14 statement and I didn't want to upset the collegial
15 atmosphere or necessarily deliver a withering critique but
16 I know we wanted a frank discussion, and I feel very
17 strongly about this. There is no theoretical or empirical
18 support for this specification and I would be happy to
19 provide information to the Board to support that and it is
20 not an academic point but a practical one, because
21 depreciation is a reality in this industry.

22 The physical method essentially assumes that issue
23 away. Any time you take a line from 1950 and you add it to
24 a line that was installed in 2006, you take the sum of
25 those two lines and you say this is the measure of capital,
26 you are assuming away all of the depreciation associated
27 with the line in 1950. So that's -- so implicit in any
28 physical measure like that, is ignoring the entire issue of

1 depreciation with the older assets.

2 It is worth pointing out that no North American
3 regulator has ever approved a physical capital measure in a
4 TFP study or a one hoss shay depreciation specification.
5 In the one place where it was implemented which is New
6 Zealand, they have very different standards for evidentiary
7 review, that is the case throughout North America. I don't
8 believe that this specification would withstand an
9 objective review of the evidence.

10 So given that, it is not an academic point and I feel
11 very strongly it would be a mistake for this Board to
12 approve a productivity factor that included even implicitly
13 as a component of the productivity measure any capital
14 measure that was based on a physical capital measure or one
15 hoss shay depreciation. I think that would negate a lot of
16 the good work that has been done and I strongly recommend
17 that that approach not be adopted.

18 The third issue is on the issue of the start date.
19 That has received a lot of attention in this proceeding. I
20 have presented a very practical and what I believe is a
21 reasonable approach for determining how long we should
22 measure TFP growth. That approach has been adopted in
23 other proceedings and in those proceedings it has not been
24 found lacking.

25 I believe the approach that our start date analysis is
26 firmly grounded in the realities of the industry and what
27 we know what can influence TFP growth in both long term and
28 short term and it is a rigorous attempt to ensure that we

1 really are just focussing on the long-term trend and not
2 measuring TFP in such a way that it is distorted by
3 transitory impacts.

4 Professor Yatchew has criticized the approach on
5 theoretical grounds and in terms of the literature and I
6 have listened very carefully to his critiques throughout
7 the process, but I still believe that his critiques rests
8 on an assumption that there are regular cyclical patterns
9 in the underlying TFP data; and if those patterns don't
10 exist, then his conclusions about the deficiency of my
11 approach don't follow.

12 I don't believe that there has been any persuasive
13 evidence that has been put forward that there really are
14 regular cyclical patterns that have been persistent in the
15 TFP data and that we can expect will continue in the
16 future.

17 The final issue on the productivity factor has to do
18 with the recent slow productivity growth in Ontario and I
19 said this several times, that we know that this has
20 happened before. In IRM 1, there was slow productivity
21 growth between 1988 and 1993, and that was followed by
22 rapid productivity growth between 1993 and '97. So given
23 that experience, I don't think that we should assume that
24 the current slow TFP growth will necessarily continue in
25 the future. And I think a consequence of that is that we
26 shouldn't put any extra weight on the TFP growth of the
27 last four years. It's not necessarily a good predictor of
28 where TFP is going during IRM 3.

1 On the stretch factor, first point is that this is
2 inherently a forward-looking factor, that makes it distinct
3 from the productivity factor and there is no logical link
4 to average TFP growth or a range of average TFP trends that
5 could be calculated using different TFP specifications.

6 What you really want to focus on are the incremental
7 TFP gains that could be expected under incentive regulation
8 as the Board report has said.

9 The second point is, given the difficulties of
10 forecasting incremental TFP gains, I believe the values
11 that are established for the stretch factors will
12 ultimately depend on judgment. And I believe that is the
13 case for the four proposals that have been put forward. We
14 have all ultimately picked values that are based on some
15 judgment.

16 My judgment is that a conservative approach is
17 warranted now, given that we're taking a first step towards
18 the use of benchmarking in Ontario and using that to set
19 stretch factors. I think the first step should be a
20 conservative step, and we will learn more in the future.

21 Finally, I believe a reasonable conservative approach
22 is one that is tied directly to the precedents in Ontario
23 to date, and those precedents are essentially an average
24 stretch factor of 0.25 percent, and a maximum stretch
25 factor of 0.5 percent.

26 I have embodied those precedents in my
27 recommendations. The average stretch factor, with the
28 exception of the -- or the average stretch factor would be

1 0.25 percent. And that would also be the stretch factor
2 that applies to companies in the second efficiency cohort
3 group. The 0.5 percent stretch factor would apply to the
4 least efficient companies.

5 And in my opinion, these values strike a reasonable
6 balance between non-trivial benefit sharing -- remember
7 this is a benefits sharing mechanism -- and we want the
8 benefit sharing to be significant. These are non-trivial
9 values and yet they are conservative values as well and
10 tied directly to the precedents that have been approved
11 today.

12 Finally, and I think I may be ahead of schedule, the
13 capital module. I would just like to say one thing about
14 the handout that has recently been distributed from CLD,
15 and that is they have isolated a single element of the, of
16 Staff's proposed threshold for the materiality -- value for
17 the materiality threshold which they say will lead to
18 unfunded capital expenditures and they have traced the
19 implications of that to net income.

20 I think we should recognize that this is not a
21 complete analysis of the issue, and, in particular, their
22 calculations don't include any adjustments for revenue
23 growth.

24 They are implicitly comparing one year to another, and
25 looking at the impact of capital expenditures between those
26 two years. And if we're going to do that, we also have to
27 consider how revenues are going to change between those two
28 years.

1 I have just done a back-of-the-envelope calculation
2 based on data that Mr. Cowan presented in his presentation,
3 and based on that, I estimate 1 percent revenue growth in
4 the industry would lead to about \$25 million extra revenue,
5 and all else equal, an extra net income, which would
6 essentially offset the revenue erosion they say would
7 result from the inflation adjustment.

8 I believe that is a very conservative estimate of how
9 revenues will grow. Revenue growth of course depends not
10 just on price growth but on growth in customer numbers and
11 megawatt hours as well, and peak demand.

12 So I just think it is important -- I am not offering
13 this as a full analysis, either, but I think it is just
14 important to point out that you can't look at these
15 elements in isolation, and you really have to consider
16 mitigating factors if you want to consider the implications
17 of the decisions we're making on the concrete bottom-line
18 implications for companies and their earnings.

19 MR. SOMMERVILLE: Thank you.

20 Dr. Yatchew.

21 DR. YATCHEW: Thank you.

22 So let me return, once again, to the -- let me return
23 once again to the infamous picture. I think that for me
24 this particular graph summarizes a great deal of
25 information relating to the productivity factor. From it,
26 one can learn that average productivity growth in the US
27 electricity distributor data is about 0.72 percent over
28 this period.

1 There is no systematic evidence of systematic -- there
2 is no systematic evidence of acceleration or deceleration
3 in productivity growth over the entire sample period.
4 However, there is substantial evidence that there are
5 persistent trends over the shorter period -- over shorter
6 periods of time, periods of time when growth is
7 accelerating and decelerating.

8 The most recent years suggest a period of deceleration
9 with growth of 0.4 percent, and I expect that recessionary
10 effects in the US are likely to have an adverse impact on
11 this in the upcoming months, as well as the job losses in
12 Ontario.

13 Now, the early 1990s were a period of relatively high
14 unemployment, which arguably should not be excluded
15 precisely because the subsequent years enjoyed higher
16 employment levels and are, therefore, not likely to be
17 representative of the longer term.

18 Neither the raw data depicted by the volatile line nor
19 the estimated trend model would suggest that the data prior
20 to 1995 should be excluded.

21 Let me make a couple of comments on the start date
22 analysis, because this is a key difference between Dr.
23 Kaufmann and myself.

24 Dr. Kaufmann suggests that my arguments rest on an
25 assumption, an unproven assumption, that there is a
26 cyclical effect going on here. Let me suggest the
27 following syllogism. Business cycles are cyclical. That's
28 why they're called cycles.

1 TFP is influenced by business cycles, an assertion Dr.
2 Kaufmann has made, as well. Therefore, TFP will have a
3 cyclical component. So -- and Dr. Kaufmann himself asserts
4 the importance of the business cycle in the analysis of
5 TFP.

6 My critique of the start date analysis remains
7 unchanged. This analysis searches for a single year that
8 is most similar to the most recent year, rather than a
9 period that is likely to be representative of the data.

10 If the Board wishes to move forward to create a
11 predictable and evolving regulatory environment, in my view
12 it would not be prudent to embed an algorithm that can be
13 easily refuted in intuitive terms, an algorithm for which I
14 was unable to find supports in the statistics or
15 econometrics literature.

16 So my recommendations on the productivity factor, the
17 recent slower productivity growth should not be ignored and
18 should be incorporated in the target X factor.

19 We recommend a productivity factor of 0.55 percent,
20 which combines the 1988 to 2006 estimated productivity
21 factor of 0.72 percent, and discounts that, to a degree, by
22 the evidence on slower productivity growth in both Canada
23 and the US.

24 Let me turn to the stretch factor.

25 In my view, the rationale for stretch factors is
26 relatively weaker in Ontario than may be the case
27 elsewhere, principally because Ontario distributors have
28 been under a form of price cap regulation for a period of

1 time, and, in addition, they've experienced yardstick
2 regulation for many years.

3 The development of the stretch factors themselves and
4 an allocation of utilities to specific groupings or cohorts
5 is, in my view, seriously hampered by the potential for
6 misclassification. At least four sources of
7 misclassification have been identified: The first being
8 the use of OM&A rather than total cost data; second,
9 mismeasurement or omission of important variables; the
10 third, the statistical type 1 error, which is at 20
11 percent; and, fourth, the use of US rather than Ontario
12 data.

13 There is also the issue of incentive distortion.
14 Regulatory focus on OM&A costs rather than on total costs
15 could induce utilities to over-capitalize and under-spend
16 on OM&A.

17 Therefore, in stretch factors, my recommendations are
18 as follows. For the reasons I have given, the stretch
19 factor should be materially lower than those recommended by
20 the Pacific Economics Group. We recommend stretch factors
21 of 0.1 and 0.2 percent for the three groups, with resulting
22 X factors of 0.55, 0.65 and 0.75 percent.

23 Finally, let me make a comment on the third set of
24 issues, and that is the calibration of the capital
25 threshold. My original suggestion in my written
26 submissions was to have multi-year capital plans examined
27 by the Board. The Board decided this was not the route
28 they wanted to take, which is fine.

1 My concern, then, is that if the capital module does
2 not provide adequate relief - the threshold itself plays an
3 important role in that - then there is a potential for
4 incentives, again, of the wrong kind, where utilities might
5 feel the need to front-end load their capital expenditures
6 into their test year, rather than to plan their
7 expenditures on the basis of more rational time
8 distribution.

9 Those are my submissions.

10 MR. SOMMERVILLE: Thank you. Mr. Shepherd.

11 MR. SHEPHERD: I understood that Ms. Frayer was next.
12 Am I mistaken?

13 MS. FRAYER: I actually am handing over the reins to
14 the Coalition.

15 MR. SHEPHERD: All right, that's fine. I am happy to
16 go next.

17 **SUBMISSIONS BY MR. SHEPHERD:**

18 MR. SHEPHERD: On the productivity factor, we have
19 three experts providing you with proposals. Ms. Frayer's
20 proposal uses a depreciation method that is clearly suspect
21 and, in fact, no one else uses it as we know. And even the
22 experts that the Board has seen, Dr. Cronin, Dr. Yatchew
23 and Dr. Kaufmann, have not used it, and, in fact, we have
24 no examples of anybody who has used it, except in New
25 Zealand. It is intuitively incorrect.

26 So I think it is difficult to have any confidence in
27 the numbers that Ms. Frayer has come up with on the
28 productivity factor.

1 Dr. Yatchew has posited that there is a cycle, but he
2 doesn't base his analysis on any proven cycle because he
3 hasn't done the empirical work, which he admits; that he
4 hasn't had time or the scope to do the empirical work to
5 identify the cycle. So he hasn't put forward to you what
6 the cycle is, and he hasn't based his recommendations on a
7 particular cycle.

8 Now, he does raise an issue about the start date
9 analysis that Dr. Kaufmann has used, and I have to say that
10 it is not an insubstantial concern that he has raised.

11 If indeed there is a cycle, then you can see that
12 there could be a possibility that the start date analysis
13 would put you in the wrong part of the cycle.

14 But Dr. Yatchew doesn't have an answer for that. His
15 answer is, Let's use a different set of years, but he has
16 no basis for using that different set of years.

17 So that leaves us with Dr. Kaufmann. Dr. Kaufmann
18 basically has provided us with two numbers, 0.88 and 0.72.
19 0.88 is his recommendation based on his start date
20 analysis. If you agree with the start date analysis, there
21 is basically no other conclusion you can come to but that
22 0.88 is the right number for productivity.

23 We should say School Energy Coalition believes that
24 that start date analysis is correct. It has been tested in
25 other jurisdictions and it is a very thoughtful way of
26 getting the right number.

27 If you disagree with his start date analysis, then you
28 would take Dr. Yatchew's recommendation to use the longest

1 period of time available, and then you would use 0.72,
2 because that's the productivity that empirically comes out
3 of the longest data set that we have available to us.

4 Moving on to stretch factor, I was not here for this
5 discussion yesterday, and -- but I do understand and I have
6 read in the transcript that the suggestion was made that it
7 might be possible to use the same number for all three
8 cohorts. I wanted to say, very strongly, that we, very
9 strongly disagree with that. That if we use the same
10 number, we're basically saying the cohorts don't matter.
11 That, yes, we will identify that some people are more
12 efficient than others, but there will be no consequences to
13 it and that, in our view, is not a good regulatory result.

14 On the actual number itself. I guess you could divide
15 it into two components. Component number one is: What's
16 the average? What's the mean that you should end up with?
17 Then what's the variation around the mean to reflect the
18 cohorts? I think Mr. Thompson talked about this a little
19 yesterday.

20 Dr. Kaufmann proposes a conservative approach. He
21 says, Let's make the mean a conservative number, 0.25.

22 We think that that is wrong, that is just incorrect.
23 If you don't have an earnings sharing mechanism, then your
24 mean should be the fair number, at the very least you
25 should have the fair number. You should not have a
26 conservative number. Because this is the only way the
27 ratepayers are going to get a benefit from this.

28 So that mean should be substantial enough to give them

1 a reasonable benefit from that process.

2 So the result, in our view, is that the average
3 stretch factor should be 0.5 percent, because that is the
4 low end of the spectrum for what other jurisdictions
5 select. About as conservative as we can imagine you would
6 go.

7 Then the next question is: How much variation should
8 you have around that mean? And we have already made our
9 comments on that, that it should be a 0.5 percent variation
10 because the Board's already decided on materiality, and it
11 is 0.5 percent. And the variation around the mean should
12 matter to the utilities. If it doesn't matter to the
13 utilities, then there is no point in doing it.

14 The problem that has been raised is, well, what if all
15 of our benchmarking activities are not perfect? So we're
16 not sure we have everybody in the right camp? Well, the
17 answer, it seems to us is the old adage: The perfect is
18 the enemy of the good. Yes, it is not perfect, but a lot
19 of work has gone into this benchmarking exercise.

20 Excuse me.

21 MR. SOMMERVILLE: Can we help in anyway?

22 MR. SHEPHERD: I wonder if somebody else might proceed
23 and you can come back to me after.

24 MR. SOMMERVILLE: You have about four minutes in the
25 bank.

26 Mr. Thompson.

27 **SUBMISSIONS BY MR. THOMPSON:**

28 MR. THOMPSON: Thanks very much. I will make my

ASAP Reporting Services Inc.

(613) 564-2727

(416) 861-8720

1 submissions in response to the questions that are posed at
2 page 53 of the Board's report and I will deal with them in
3 reverse order.

4 The first one is dealing with the incremental capital
5 module. I won't repeat the question, but in my submission,
6 you should be clear in your response that on this question
7 of materiality, that a materiality means to apply and
8 recover, not simply eligibility to apply. And we submit
9 that to be eligible to apply and recover, under the module
10 that the Board has approved in the IRM mechanism, the
11 capital expenditures applied for must exceed, by a dead
12 band -- which the Board can determine, we suggest at least
13 10 percent, the capital expenditure depreciation ratio,
14 which is supported by the combined effect of the price cap
15 and growth. We submit that the calculation of that ratio
16 should be performed, as Mr. Aiken proposes, subject to any
17 increased adjustment that the Board considers to be
18 appropriate for inflation, as suggested by Board Staff, and
19 subject to this question that Mr. Shepherd has raised about
20 whether the inflator should be inflation less productivity
21 or simply inflation.

22 We urge you to emphasize in dealing with this
23 question, that the incremental capital module feature of
24 the IRM is not a cost of capital ROE Y-factor pass-through.
25 And our sense is that the utilities are trying to structure
26 it so it is a mechanism of that nature.

27 Turning to the stretch factor.

28 The question was: What are the appropriate stretch

1 factor values for each of the three groups?

2 In responding to that question, we urge you to take
3 into account the consensus that this is primarily a matter
4 of judgment. It's not empirical analysis. And the factors
5 to be considered include, and I am not trying to exclude
6 others, the term of a plan, the lack of earnings sharing
7 mechanism, and the incremental capital module feature of
8 the plan that has been established.

9 The stretch factor is a consumer protection mechanism
10 and should be viewed in that light in our submission.

11 Now, concerns have been raised about the means of
12 measuring the efficiency cohort and it has been suggested
13 that the means that the Board has directed be applied will
14 lead to some material risk of miscalculations.

15 In evidence or in discussion, I understood that to
16 mean that there are 2 of 11 in cohort 1 that might be
17 misplaced. So that is two winners, and 2 of 11 in cohort
18 3, which might be misplaced, which is two losers. That is
19 4 out of 83, which is less than 2 percent and we leave it
20 to you to determine whether that is a material risk of
21 miscalculation.

22 On the question of the appropriate ranges. I urge you
23 to find that the ranges proposed by Professor Yatchew of 0,
24 10 and 20, 0 to 20, the lower range proposed business Ms.
25 Frayer, are unrealistically low, unreasonably low, and that
26 then leaves the ranges proposed by Dr. Kaufmann, with a
27 midpoint of 25 basis points, and the range proposed by Mr.
28 Shepherd, with a midpoint of 50 basis points. We urge you

1 to find that the midpoint of the range is in that range, 25
2 to 50 basis points.

3 In terms of distinguishing the stretch factor
4 allowances by cohort, we question whether zero is
5 appropriate for any utility at this particular point in
6 time in Ontario, and caution, urge you to consider moving
7 off the zero floor, and if you are concerned about this
8 miscalculation risk, then that is another reason to move
9 off the floor and to lower the ceiling.

10 So we urge you at least to consider positive numbers
11 for each cohort around the average of between 25 and 50.

12 Finally, with respect to the productivity factor.
13 Again, the question is what is the appropriate value for
14 the TFP trend?

15 Our response would urge you to find that it is no less
16 than 0.80 percent. Let me just quickly explain how we get
17 there.

18 First, the major disputes appear to be -- apart from
19 this question of data, which we understand will be
20 temporary -- the major disputes appear to be with respect
21 to the method of calculating capital input quantity of
22 electricity distribution assets, and the appropriate time
23 period to be used in the empirical analysis. And within
24 that there is this question of whether a recent short-term
25 component of the sample should be accorded special weight.

26 Dealing with the first of these disputes, the method
27 of calculating the capital input quantity for electricity
28 distribution assets, like Mr. Shepherd, we urge you to

1 reject the one hoss shay method that Ms. Frayer has used in
2 deriving the TFP trend in this 2002 to 2007 segment of her
3 sample.

4 We submit it is incompatible with the accounting
5 depreciation method that is used to derive the numbers for
6 the period '88 to 2001 on which she relies, and the use of
7 the numbers appears, to us, to materially distort the
8 results downwards.

9 Intuitively, we would submit, the 0.58 percent number
10 that she recommends should increase if you eliminate this
11 distortion. Ms. Frayer was unable to provide the number
12 that would ensue if that distortion were eliminated. So we
13 really don't have a number from Ms. Frayer that eliminates
14 the distortion.

15 Turning to the appropriate time period question, we
16 submit that principles that should guide your consideration
17 of this issue include that the time period selected should
18 be sufficiently long to be statistically significant, and,
19 secondly, the time period selected should be one that
20 avoids statistical aberrations, to the extent possible.

21 There is a consensus, as I sensed, from the
22 information discussed that to be statistically significant,
23 the period must be in excess of eight years, and I sense
24 there was a consensus - I am not entirely sure - on this
25 point, but to avoid statistical aberrations, the external
26 conditions existing at the start and end date of the period
27 should be demonstrated to be similar.

28 Now, Dr. Kaufmann's time period of nine years

1 satisfies both those -- for 11 years satisfies both those
2 criteria.

3 Dr. Yatchew's 20 year-time frame really doesn't,
4 because he hasn't demonstrated that the beginning date and
5 the end date have external conditions that are similar.

6 In addition with Dr. Yatchew's proposal, he's
7 ascribing some weighting to the last five years of his 20-
8 year time period, and we submit that is inappropriate;
9 again, distorts the results by reducing the long-term TFP
10 trend of 0.72 percent to about 0.55 percent.

11 We submit that weighting most recent years in a 20-
12 year sample calls into question the appropriateness of the
13 20-year sample and that a more recent statistically
14 significant sample, if that situation arises, should be
15 selected, but to be statistically significant it has to be,
16 on the evidence, more than eight years.

17 So Dr. Kaufmann's eleven-year period falls within that
18 range.

19 Similarly, we submit that before weighting any portion
20 of a statistically significant sample, the portion to be
21 weighted must satisfy the statistical significance,
22 minimum, of eight years. And we agree with Dr. Kaufmann if
23 you take a short period and weight it, that you are
24 distorting the results.

25 So we submit Dr. Yatchew's weighted number of 0.55
26 percent is inappropriate; that, if anything, what we have
27 is 0.72 percent, unweighted, which Dr. Kaufmann agrees is
28 the appropriate number for 20 years.

1 So you have Dr. Kaufmann's eleven-year number of 0.88
2 percent to which you should accord the highest priority.
3 If you accorded priority to any other number, we submit it
4 is 0.72 percent, and that produces, in our view, a number
5 of no less than 0.80 percent.

6 Those are my submissions.

7 MR. SOMMERVILLE: Thank you. Mr. Shepherd, do you
8 want to...

9 MR. SHEPHERD: I am sufficiently recovered. Yes.
10 Thank you for your indulgence.

11 I think I am finished on the stretch factor. I am not
12 sure you got the last part of it, but I hope I made the
13 point.

14 I have just a couple of comments on the capital
15 module.

16 The first comment is that it is very important that
17 the Board recognize that this is an exceptional measure, as
18 I know the Board does. And the way to test whether that is
19 the result you're going to get is to go look at the past
20 data and see how many people would qualify under your
21 threshold if you use one threshold versus another, and,
22 indeed, then add some more, because the past data is data
23 -- assuming you couldn't come in to ask for more money. So
24 that's capital spending in a constrained environment, or
25 what the utilities say is a constrained environment. If
26 you have a capital module, you can assume there will be
27 more applications, not less.

28 So our first comment is that you should do that test

1 and make an assessment how many utilities -- when does it
2 qualify as an exception, put it that way? Is it ten
3 utilities would it qualify, 50? And that should influence,
4 in our view, your decision.

5 Now, with respect to the actual threshold itself, we
6 have done a quick chart which is up on the screens - I'm
7 sorry, I didn't have a chance to get it printed, because we
8 just did it on the break - to try to assess: What are the
9 actual differences between the various proposals you have
10 in front of you?

11 I do not have one for Dr. Yatchew, because his -- I
12 didn't see it in his written material, but the other four I
13 do have. I just want to walk you through it and see if I
14 am correctly identifying the places where people differ.

15 The first is everybody agrees that the amount
16 available to the utilities includes the base depreciation
17 claim. So that's 100 percent.

18 We are the only ones who propose that you also have
19 the return on that depreciated component of rate base.
20 Although I didn't sense anybody disagreed with that, I
21 think that other experts simply had not included it, and
22 that calculates to be roughly 9 percent.

23 I think everybody agrees that if you include inflation
24 at 2 percent, that that's roughly 40 percent addition. And
25 I understand, for example, that Mr. Aiken has not
26 calculated it in that way. He has calculated it on a
27 utility-specific basis, but if you used the standardized
28 utility, you would get the same answer for everybody,

1 because it's inflation. It is just math.

2 So everybody agrees that the inflation component
3 should be included. However, three of the people who have
4 proposed models to you have said you should reduce that
5 amount by the productivity component, the productivity plus
6 stretch factor, because that's money that the utilities
7 aren't getting.

8 So we have taken the position you should not reduce it
9 by that much, and other people have taken the position that
10 you should reduce it by that much.

11 It's not clear to us whether Mr. Cowan's position is
12 one or the other. I think he has presented both to you and
13 given you the -- put the issue before you.

14 So that appears, to us, to be issue number 2. Is that
15 component a legitimate deduction from the threshold or not?

16 The third, then, is: Should there be a dead band?
17 Mr. Cowan has effectively included a dead band by the
18 inflation factor that he has included; that is, the
19 increase in the amount of the depreciation. That
20 effectively operates as a dead band. We have proposed a
21 dead band that is roughly the same.

22 Ms. Frayer has proposed what we calculate to be a
23 5 percent dead band, because she said, Well, we think the
24 right number is 120, but we're accepting 125.

25 And Mr. Aiken has not proposed a specific dead band.
26 We have assumed his proposal implicitly is around
27 25 percent, but he can speak to that, I'm sure.

28 But, in any case, issue number 3 is: What is the dead

1 band? What is the cushion that is appropriate?

2 Then that gets to a net threshold, and then you have
3 two additional issues to deal with. Should the formula
4 include an adjustment for growth? Mr. Aiken and myself
5 have both proposed that it should, proposed it include an
6 explicit adjustment.

7 Mr. Cowan and Ms. Frayer have proposed that that be
8 dealt with through the application process.

9 Our view is that the former is the better approach,
10 because that allows you to have more regulatory efficiency.
11 It's just a calculation, anyway.

12 Finally, the fifth issue that you have to deal with
13 here is: Should this calculation be specific to each
14 utility, or not?

15 Mr. Aiken has said that it should. We agreed that it
16 should, although we accept the fact that it may be more
17 efficient for the Board to have a general threshold with
18 some variations as opposed to a formula that every utility
19 applies.

20 But conceptually we are on the same page on that.

21 Mr. Cowan and Ms. Frayer have both said that this
22 should be a general threshold for everybody.

23 To our minds, that, therefore, is the five issues that
24 you are being asked to address and the impacts of those
25 issues.

26 I hope that is helpful.

27 MR. SOMMERVILLE: Thank you, Mr. Shepherd.

28 Mr. Aiken.

1 **SUBMISSIONS BY MR. AIKEN:**

2 MR. AIKEN: Thank you. I want to say at the outset
3 that the submissions I am about to make are made on behalf
4 of both the LPMA and Energy Probe.

5 The first issue is the productivity factor.

6 I will start off by saying that I agree with the
7 submissions of Mr. Thompson related to the methodological
8 issues associated with the Frayer and Yatchew proposals and
9 I won't repeat them.

10 It is the submission of the LPMA and Energy Probe that
11 the productivity factor should be 1 percent. We believe
12 that Dr. Kaufmann's recommendation of 0.88 percent is in
13 the right ballpark, but that it is at the lower end of the
14 range than should be considered.

15 In our submission, there are three reasons for this
16 conclusion. First, Dr. Kaufmann was asked, with respect to
17 the 0.88 percent recommendation how that compares to what
18 he has seen in terms of his studies of other jurisdictions
19 and what has been defined in more recent IR plans. Dr.
20 Kaufmann's response was that his 0.88 recommendation was on
21 the low side.

22 He further indicated that it would be one of the
23 lowest approved productivity factors anywhere.

24 He also indicated that most productivity factors are 1
25 percent or higher. And that's from yesterday's transcript,
26 pages 47 and 48.

27 Second, the Board has approved the concept of k-factor
28 or capital module. Dr. Kaufmann has indicated that the

1 inclusion of such a module is rare. It is our submission
2 that the inclusion of this module should be reflected by a
3 higher productivity factor to account for this deviation
4 from the norm and the relief that it may provide to
5 distributors.

6 Third, there is a Canadian data available from
7 Statistics Canada. While there were reservations expressed
8 about using this data because of the "contamination" of the
9 multi-factor productivity figures with the inclusion of
10 transmission and generation, it is submitted that there are
11 also benefits of using this data, at least using it for
12 comparison purposes.

13 It is Canadian data rather than US data. It is from
14 an impartial source, but most importantly, the data is
15 available for a long period of time beginning in 1961.

16 This provides a data series of more than 40 years in
17 length, more than double that of what anyone else has used
18 in their analysis in this process. This longer period of
19 data more closely matches the life cycle of the
20 distribution assets.

21 Statistics Canada has three utility multi-factor
22 productivity indices. These indices average growth rates
23 of 0.86 percent, 1.07 percent and 1.08 percent over the
24 entire period for which the data is available. The average
25 of these three averages is 1.00 percent. And I can provide
26 the Board with the name of the specific series, if it so
27 wishes.

28 I should also note that the "contamination" of the

1 indices that results from the inclusion of more than
2 electric distribution utilities also contaminates the
3 estimates of the Stats Canada wage index used by Ms. Frayer
4 in her analysis.

5 Moving on to the stretch factor.

6 There are three topics under the heading of the
7 stretch factor that I will be addressing. These issues are
8 the appropriate level of the stretch factor for the
9 efficient distributors or Group I; the level of a stretch
10 factor for the average distributors, Group II; and finally,
11 the issue of misclassifications of distributors into Groups
12 I and III.

13 So what is the appropriate stretch factor for the
14 efficient distributors?

15 All of the proposals you have seen set the stretch
16 factor for this group of distributors to zero. We
17 disagree. If there had been an earnings sharing mechanism,
18 then zero may have been appropriate.

19 However, in the absence of an earnings sharing
20 mechanism there should be some upfront benefit to
21 ratepayers. There is no evidence on the record to suggest
22 that productive distributors will not or cannot continue to
23 achieve additional gains. Their opportunity may be less,
24 but it is still greater than zero.

25 We submit that the stretch factor for this group of
26 distributors should be 25 basis points.

27 The second issue is the level of stretch factor for
28 Group II which is where the majority of the distributors

1 will resides. It is submitted that this stretch factor
2 should be set at 50 basis points. This recommendation
3 results from a number of comments that have been made.
4 First, Dr. Kaufmann has indicated that the average stretch
5 factor across jurisdictions is approximately 50 basis
6 points. Our recommendation also reflects Dr. Kaufmann's
7 characterization of his 25 basis point recommendation as
8 very conservative.

9 We do not believe that with a relatively short IRM
10 plan term of three years, there is any need to be
11 conservative.

12 Our recommendation further reflects regulatory
13 precedent. Union Gas had a comprehensive price cap plan
14 that included a Board-approved stretch factor of 50 basis
15 points. The term of that plan was also three years.

16 Finally, the Board has determined that there will not
17 be any earnings sharing. In the absence of an earnings
18 sharing mechanism, it is submitted that the consumer
19 dividend needs to be higher. Again, I go back to the fact
20 of the 50 basis point recommendation is the industry
21 average, according to Dr. Kaufmann, but some of these
22 included in this average would be plans that also included
23 an earnings sharing mechanism as, in fact, did the Union
24 Gas plan approved by the Board.

25 The relatively short term of the plan should also
26 mitigate any concerns that the distributors may have with
27 the stretch factor value.

28 Group III distributors would have a stretch factor of

1 75 basis points to be systematic with group one of 25 basis
2 points.

3 The final stretch factor issue is the possible
4 misclassification of utilities into Groups I and III. As
5 the exchange between Mr. Thompson and Mr. Yatchew indicated
6 there is a potential for two distributors to be in Group I
7 that should not be there and two others to be in Group III
8 that should not be there, and that is yesterday's
9 transcript pages 125 and 126.

10 Quite frankly, we do not believe that this is a
11 problem. However, if the Board believes that some sort of
12 mitigation is required, the range of stretch factors could
13 be narrowed. However, it is our submission that the
14 midpoint should remain at 50 basis points. So rather than
15 the proposed 25, 50 and 75 scenario, it could be, for
16 example, 35, 50 and 65.

17 The final issue, the incremental capital module. The
18 formula that I presented incorporates both the impact of
19 the price cap and the load growth on the level of capital
20 expenditures that can be funded without additional rate
21 relief.

22 The materiality threshold should be based on the
23 calculation of the individual threshold for each utility,
24 plus a dead band or margin of some level, and I would be
25 happy for it to be 25 to 50 basis points, in that range.

26 The Board may want to add other components to this
27 approach based on the presentation of other properties and
28 we would not oppose this.

1 In our submission, the formula has a number of
2 advantages. It provides a materiality threshold that would
3 be different for each utility, reflecting both distributor
4 diversity, and the differing positions of the utilities in
5 the asset replacement cycle.

6 We do not believe that a one-threshold-fits-all
7 approach is appropriate for a capital module, given the
8 differing demands on utilities across the province.

9 There is significant diversity in economic growth
10 across the province and there appears to be significant
11 differences in the need to replace aging assets across
12 utilities.

13 While the threshold would be different for each
14 utility, the calculations are simple, and based on figures
15 that can be taken directly from the last Board rebasing
16 decision for each utility, are easily calculated based on
17 those decisions.

18 Thank you.

19 MR. SOMMERVILLE: Thank you, Mr. Aiken. Ms. Girvan.

20 **SUBMISSIONS BY MS. GIRVAN:**

21 MS. GIRVAN: Thank you. In light of these
22 discussions, we haven't changed our views with respect to
23 productivity and the need for a stretch factor.

24 The experts are relatively close and we have seen that
25 determining this productivity number is not an exact
26 science. Not to repeat the arguments, but we support the
27 value put forward by Dr. Kaufmann. It is a proxy and it
28 should be recognized as such.

1 Let's just try the approach that he has advocated and
2 we can see how it works. It is consistent with examples
3 elsewhere and conservative, relative to plans in other
4 jurisdictions.

5 With respect to the stretch factor, we are strong
6 advocates and believe a positive stretch factor is
7 required. It is common and pervasive -- it's a common and
8 pervasive element in many IRM plans.

9 In our view, it provides a ratepayer benefit up front.
10 As the other ratepayer representatives have made clear,
11 without earnings sharing, the need for a stretch factor is
12 even more important for ratepayers.

13 We advocate the cohort approach and would support what
14 Mr. Aiken has put forward, the 0.25, 0.5 and 0.75 for the
15 three groups.

16 In the alternative, if the Board accepts the arguments
17 about misclassification, we would support 0.5 across the
18 board.

19 With respect to the capital module, we completely
20 agree that it should be in place to deal only with
21 extraordinary circumstances, and that's the only reason why
22 we would support it. The threshold should be set along the
23 lines advocated by Mr. Aiken and, in effect, to calculate
24 what the formula allows for with the consideration of
25 growth.

26 In terms of the filing requirements, these should be
27 well-defined and very clear, and the Board should go
28 through a process to develop these filing requirements to

1 ensure that applications under this module are properly
2 supported.

3 If in the first year the Board gets a large volume of
4 applications under this model, then I guess we've gotten it
5 wrong and the threshold should be reconsidered.

6 One point I would just like to add is that --
7 something that hasn't really been discussed, but in terms
8 of these utilities, we are dealing with publicly-owned
9 utilities, and I believe that they should be making
10 rigorous efforts to increase their productivity and
11 ultimately reduce rates for their customers. Thanks.

12 MR. SOMMERVILLE: Thank you, Ms. Girvan. Ms. Frank.

13 **SUBMISSIONS BY MS. FRANK:**

14 MS. FRANK: Thank you.

15 I would like to take a few minutes to summarize the
16 submissions from the perspective of the large distributors.
17 Ms. Frayer has provided a summary in the evidence -- are we
18 okay?

19 MR. SOMMERVILLE: Yes. Sorry. Sorry, go ahead.

20 MS. FRANK: Ms. Frayer has provided a summary of her
21 positions in the overheads that were handed out, and I will
22 leave that to you to read, so she is not going to have a
23 rebuttal chance here. Instead, you are going to hear from
24 the large distributors and Hydro One, our perspective on
25 these issues.

26 There has been a very cooperative approach that has
27 been involved in getting the Board to this point of 3rd
28 generation, many players involved and I think a lot of

1 cooperation, so I commend Board Staff on their approach.

2 Over the past three days, we have heard from three
3 experts who are knowledgeable and reputable in their fields
4 and who took only slightly different approaches on the
5 remaining issues.

6 So where does this leave us?

7 I think we need to proceed, and the approach may not
8 be perfect, but it is directionally right and we have to
9 start somewhere. So let me turn to the three factors that
10 we're dealing with.

11 Starting with total factor productivity, the experts
12 all observed that recent trends in Ontario result in
13 negative productivity growth. And in the US, when you look
14 to recent trends, there is very low productivity that is
15 experienced in the US.

16 Despite this, Dr. Kaufmann suggests that a 0.88
17 percent total factor productivity is appropriate, and he
18 has a lot of support on that. However, we think it is
19 questionable if it can be achieved. Can we actually get
20 this kind of productivity in the near term?

21 So, naturally, since you are hearing from the
22 distributors, you are going to hear about what is
23 practical, because that's where we come in. We actually
24 have done this, rather than theoretically what a number
25 might look like. We have to find it.

26 So we turn, first of all, to the suggestions that Mr.
27 Kaufmann had. He said there are two big productivity
28 drivers that are out there that you are going to be able to

1 recognize right away, and those were smart meters and, for
2 those who are doing them, mergers and acquisitions, there's
3 a source of productivity.

4 So let's look at those two. Smart meters, yes, we're
5 installing the smart meters. We are all diligently going
6 to meet the government's target for 2010 to have the smart
7 meters in place.

8 Costs to that and, indeed, there is going to be costs
9 associated with interfacing with the IESO and updating our
10 billing systems to have those smart meters actually work.

11 The productivity that we're talking about tends to be
12 after all of those are done, after we have the meters in
13 place and we have all of the tools in place to use the data
14 from the meters. So that certainly is not within the next
15 three years that we're talking about.

16 I suspect there will be productivity in the longer
17 term. How much, I don't know, but not in the first three
18 years, which is what a lot of this group is dealing with.

19 Turning to the mergers and acquisitions, it is
20 suggested they're going to yield productivity. First of
21 all, there haven't been many mergers and acquisitions
22 recently. There is not a whole lot happening here, and the
23 Board has actually given separate treatment for this. You
24 have recognized that it takes money to make an acquisition.
25 It takes time to do the integration and to bring the
26 parties together, and you've got five years, says the
27 Board, to get the productivity out.

28 So, therefore, I don't see how it is considered in

1 this piece. That would be a double-counting, in our
2 opinion. So I don't think mergers and acquisitions is a
3 place you look to to find that 0.88 percent productivity.

4 So we don't believe smart meters and mergers and
5 acquisitions are going to help us to meet these targets, so
6 let's look to the rest of what you normally expect that you
7 would look at. You look at the outputs and how they're
8 changing. You look at the input.

9 First, let's look at the outputs. Well, I would say
10 industry conservation measures are working. Everybody is
11 doing a good job. Load growth is actually going to
12 decrease compared to what would have been otherwise because
13 of the CDM activities.

14 Now, there might be some possibility of some LRAM that
15 might get a part of this back, but it looks like it would
16 only relate to the specific activities of the utility, not
17 to deal with the overall industry direction. So that
18 means, to us, load is going to be lower as a result of
19 conservation. Speaking personally for a moment in the case
20 of Hydro One, that actually will likely be negative load
21 growth.

22 Secondly, what's happening with the economy? Well,
23 the economy is slowing. Loads are dropping. We are seeing
24 that both from our residential and our business customers.
25 We're also, as a result, seeing an increase bad debt, and
26 the bad debt for a distributor takes on a special
27 significance, because it's not only they don't pay us our
28 distribution costs, but somehow we still have to continue

1 to pay for the commodity and send that cost into the IESO,
2 and all of the other costs for the other players, the OPA,
3 IESO, all have to be paid. When a customer doesn't pay
4 their bills we pick it up. Bad debts are increasing.

5 So our outputs don't look too promising. So what
6 about inputs?

7 Well, you've gone through several recent applications
8 looking at the 2008, so my messages are going to certainly
9 resonate with what you have heard. You have heard a lot
10 about labour costs and labour costs increasing. This truly
11 is the case. We have an aging work force. There is a lot
12 of competition to get the skilled work force, and you have
13 to pay up for it. So we're finding our labour costs are
14 escalating higher than inflation.

15 Alternatively, you find an untrained person that you
16 believe has good potential and you train them, but training
17 them to do the job takes many years and is a very costly
18 proposition, as well.

19 If we turn to material costs, I will pick a simple one
20 that you can relate to every day, if you drive a car. The
21 fuel costs are going up just horrendously, way above
22 inflation, and all of our crews have to get to the work
23 sites. There is gas involved. There are many other ones.
24 I am just going to focus on that one for a moment.

25 My third area of what's happening to the inputs,
26 regulatory costs. I am not actually talking about the
27 Board's costs, because I did hear about how careful you are
28 with that. I am talking about other ones, like the

1 accounting standards and IFRS.

2 And what does that mean? Well, I can tell you that
3 those costs to become compliant with that are not in
4 anybody's application today, because we don't even know
5 what is going to come or what it is going to cost to get
6 there.

7 There is new environmental regulation. We certainly
8 expect that there will be new regulation on PCB management
9 - and that will come out I believe very shortly - that will
10 have a very significant impact.

11 There are also some of our groups who are expecting
12 large increases because of the demands of the Electrical
13 Safety Association and what expectations they're putting
14 on.

15 I have just picked a few of the inputs, but I can tell
16 you the inputs are certainly changing far more quickly than
17 outputs in the near term from anything we look at when we
18 do our business planning, and that is a conversation that
19 all of the Coalition have had and that's where we believe
20 they're going.

21 Finally, there has been a suggestion that the three-
22 year term is sufficient, that any productivity that you
23 make in year 1, any investment you make, you will have time
24 to earn it back in the next two years.

25 So the suggestion is you might make investments in IT.
26 You might put in new equipment that lowers losses, or, you
27 know, a range of options of investments, and you've got two
28 years to get the synergies back.

ASAP Reporting Services Inc.

(613) 564-2727

(416) 861-8720

1 And I tell you that payback period is very short. I
2 would actually like to know what those investments might
3 be, because we're not able to find things that typically
4 pay back with that short period of time, two years from the
5 time of the investment and that's all you get with this.

6 So, overall, we don't expect that the productivity
7 challenge that will be set will be an easy challenge to be
8 met.

9 So when we return to the suggestions, we conclude that
10 actually the two numbers, two of our experts, Dr. Yatchew,
11 using US data came up with the 0.55, and Ms. Frayer using
12 Ontario data, which we certainly think over the long-term,
13 and everybody seemed to think over the long-term was the
14 place to go, came up with 0.58.

15 Our notion is those are likely decent long-term-type
16 targets but as you just heard me indicate I don't even
17 think we will achieve those in the next three years. That
18 challenge is too great. Don't make it impossible is my
19 feeling.

20 A few words on stretch factors and let's start with
21 the tiers, very quickly.

22 Everybody agrees benchmarking is in its infancy and
23 needs to improve and it will improve.

24 We certainly have no issues that there be the three
25 groups; that's fine.

26 Miscalculations. Certainly there likely are some, but
27 we take comfort that improvements will be made over time,
28 and we think we would go with what we've got right now and

1 use them, and we do support that there should be a
2 difference between these three tiers.

3 So then what should the stretch targets be? Well, all
4 of our experts concluded that we should be conservative on
5 this. The experts told us that, because of the infancy and
6 potential for miscalculation. So we should take their
7 advice, I believe, and be conservative.

8 Now, once again from the distributor's perspective
9 what we're going to look at is the combination of what are
10 we doing on productivity and what are we doing in stretch,
11 because that's the number we have to achieve.

12 We would ask you to also look at combination when you
13 set these. So if you set one a bit high, set the other one
14 low or vice versa, but it is the combination that we're
15 going to have to somehow manage to achieve.

16 We believe our customers are going to get the benefit
17 from whatever you set as that combined measure, the X
18 factor right away. As a utility we're going to have to
19 figure out how to get there. They get the benefit day 1.
20 We hopefully find a way to get there through the periods
21 and, if not, then we take it on the bottom line.

22 As long as you have a recognition that is what is
23 happening, that's fine with us. We will naturally say that
24 we take comfort in our expert's recommendation with the
25 zero, the 7.5 basis points, and 15 basis points. That
26 would certainly be our preference.

27 Finally, and very briefly because we spent a lot of
28 time on the capital threshold today I would like to go to

1 that one.

2 From day 1 it was the distributors who said the
3 environment is such that capital is an issue. We look out
4 and we look at what is expected of us in terms of
5 maintaining a viable capital infrastructure and we are
6 concerned, the demands are high. The demands come from
7 many, many sources.

8 And we certainly agree that price cap and load growth
9 contribute. And we certainly do not want to double-dip, so
10 the suggestion that you have to have a threshold that
11 recognizes those factors and you don't get to recover until
12 you are beyond those factors is certainly, we're
13 100 percent on side with that. We do not want to double-
14 dip. We also agree that any utility who believes that they
15 are passing that threshold has to bring information
16 forward, all of the capital details, and they have to
17 defend the prudence of that investment.

18 I believe that that is something that all utilities
19 would come forward -- would be very prepared to do.

20 It appears that Board Staff has recognized that most
21 utilities will need to make investments well in excess of
22 their depreciation costs, just to sustain their assets.

23 The analysis that we did only focussed on that
24 increment, the 50 percent increase, because it was treated
25 as an increment on top of any of the escalation factors or
26 load growth. Because it was an increment, we looked at it
27 in isolation.

28 And that's where we ended up saying that it had a

1 material impact. I think the challenge is, and several
2 people said, there should be something above. There should
3 be a bit of a stretch. And we're not even adverse to a bit
4 of a stretch. But the question is, who pays when the
5 stretch becomes too much? We figured the 50 basis points
6 is just too much, because that stretch, if we can't make
7 it, is 100 basis points on our bottom line each year added,
8 being 300 basis points by the end of the period. Not
9 doable. Actually, the Board in their own paper, said 300
10 basis points isn't doable, so we think it is not doable.

11 The Board actually suggested that where there is a
12 significant influence in operations, there should be an
13 opportunity to defend the additional capital expenditures.
14 We strongly agree. And we recommend that that opportunity
15 should be provided, and I don't believe you are going to
16 find a lot of people -- because even though I think it is
17 fun to come in front of the Board, not many people are
18 inclined to do that unless they feel they have a dire
19 circumstance, so I think you will only get those people who
20 have a dire circumstance.

21 I would like to respectfully submit that if the
22 capital threshold, the productivity and the stretch factors
23 are set too high, that several of the LDCs will be forced
24 to make cost-of-service applications.

25 We need to sustainably and reliably operate the
26 businesses that are within our license to operate. And we
27 will feel we must come. I don't think that is what any of
28 us really want to see happen. Thank you

ASAP Reporting Services Inc.

(613) 564-2727

(416) 861-8720

1 MR. SOMMERVILLE: Thanks, Ms. Frank. I gave you a
2 little latitude from a time point of view. If that has
3 compromised anybody's travel arrangements, you can exit
4 now.

5 Mr. Harper was going to have our last word and Mr.
6 Harper, you are up now, but do feel free, if you have to
7 leave, to do so. I am sure Mr. Harper will not take that
8 ill, and we certainly would not.

9 MR. HARPER: No, I won't. I am not usually worth
10 listening to anyway.

11 **SUBMISSIONS BY MR. HARPER:**

12 MR. HARPER: If I could start off with the
13 productivity and maybe to make my comment short, I agree
14 with basically the submissions made by Dr. Kaufmann and Mr.
15 Thompson with regard to what are some of the issues
16 inherent in the analysis presented by both Ms. Frayer and
17 Dr. Yatchew.

18 The points I would like to add to what they have said
19 is, with respect to Ms. Frayer's analysis of the last four
20 or five years, 2002 to 2007, I believe there is a
21 fundamental flaw in the fact there was no weather
22 normalization undertaken during that period.

23 You may not have to worry about weather normalization
24 if you're longing at very periods of time. Within a short
25 period of time, I think it is important. We're all
26 painfully aware of what happened in 2002 with respect to
27 weather and how that influenced not only the operations of
28 utilities but the political decisions in this province. I

1 think it impacts on the results of the analysis as well.

2 With respect to Dr. Yatchew's analysis, we have heard
3 frequently this issue about we have to take into account
4 the recent past is going to influence the near future.

5 I think I have two additional concerns with that. One
6 is the fact that that seems to be inherently inconsistent
7 with the other perspective he takes that there is some idea
8 of a cycle involved here, because if there is a cycle it
9 depends where you are in the cycle. The near future could
10 look very different from the near past if the cycle is
11 changing.

12 Secondly, we're not talking about that short a cycle.
13 We're talking about 2009 to 2014 is when this process is
14 going to end so that to the suggestion that a near-term
15 inflation or recession in the next few months is critical,
16 it is not critical over that entire five-year period.

17 That leads me to basically the same conclusion that
18 Mr. Thompson had, that we're somewhere in order of 0.72 to
19 0.88 as the type of productivity factor we should be
20 looking at. And the extent to which you are concerned
21 about the start/end date analysis, you may be gravitate
22 more towards the 0.72, the more you feel comfortable with
23 it, you gravitate towards 0.88 that's my conclusion around
24 that.

25 With respect to the stretch factor. I think we have
26 to recognize the stretch factor is really addressing three
27 issues. The first is that the productivity factor is only
28 meant to emulate what you would expect to achieve under

1 normal cost-of-service type application. You are trying to
2 identify what you believe a normal cost-of-service type
3 application would yield, so the type of benefit a consumer
4 would expect to see in terms of the resulting rates under
5 normal cost of service. If we accept there is greater
6 opportunities for productivity improvements by utilities
7 under a IRM mechanism, then you would expect something in
8 addition to that. That's what the stretch factor is meant
9 to capture.

10 The other point we have heard and I agree is the fact
11 that the stretch factor is meant to offer basically a
12 consumer dividend to provide them some additional benefits
13 really to mirror the additional benefits that the utilities
14 have in terms of an opportunity to earn additional return
15 over and above what you would normally expect under a cost-
16 of-service opportunity.

17 During this process, the LDCs have a number of outs we
18 heard about. They have z-factors they can apply for, there
19 are off-ramps they can apply for, there are k-factor they
20 can apply for. We heard a number of utilities say, If it
21 doesn't work, we will apply for cost-of-service. With no
22 earnings sharing mechanism, this is the only out that
23 consumers have and I think it is important that that out be
24 exercised.

25 Thirdly, the stretch factor is meant to recognize the
26 fact there is differences in terms of where utilities stand
27 right now in terms of their level of efficiency and,
28 therefore, the Board has recommended the three tiers. This

1 all leads me to the conclusion that the lowest stretch
2 factor should not be zero.

3 Admittedly, there is some judgment involved in that
4 number. I agree with Mr. Aiken that I believe the minimum
5 number should be somewhere around 0.25 as the lowest
6 stretch factor.

7 I then, in terms of where I go above that, sort of
8 took a different tack. I started from Dr. Kaufmann's
9 suggestion that to be an outlier, the OM&A results had to
10 be at least 15 percent different from what was the
11 estimated or expected value.

12 I then took a conservative approach and suggested,
13 Well, if you wanted to close that 15 percentage point gap
14 over 20 years, which in my mind is quite conservative and
15 acknowledging the fact that we have got some uncertainty by
16 who is in what tier, that on simple math, and not having to
17 worry about the compounding, leads me to about 0.75
18 percentage points a year is what you would address.

19 If you then say, I am further concerned about who is
20 in what tier and I discount that by two-thirds again, I am
21 still down to a differential of 0.25 between each of those
22 three groups, which leads me, based on a different
23 analysis, to a conclusion that we should be looking at
24 0.25, 0.5 and 0.75, which, to some extent, is fairly
25 similar to Mr. Aiken, except coming at it from a totally
26 different perspective.

27 Finally, with respect to the capital module, I think
28 the fundamental issue the Board has to deal with is whether

1 this is meant -- I think you put it very well yourself, Mr.
2 Sommerville at one point, is whether this is trying to
3 capture just incremental impacts on revenue requirement
4 that are not captured by the IRM mechanism when you look at
5 IRM as if it was cost of service, or is this meant to
6 address really significant or materially different or
7 unusual issues?

8 To some extent, I think that matter can be addressed
9 by building on the approach Mr. Aiken has recommended and
10 deciding on what the level of dead band is that you want to
11 apply to that.

12 If you believe that it is really meant to be focussed
13 on the revenue requirement, you would choose a fairly small
14 dead band. If you want to address the fact that you feel
15 it is only going to try and screen out just -- and leave
16 just what are the very sort of egregious sort of problems
17 that utilities have, you would have a higher dead band.

18 A final comment I would like to make is there has been
19 some suggestion that this would be a simple process. I
20 think Ms. Frank said that. People make an application and
21 this would be a simple process.

22 We haven't seen what the process is, but I would
23 suggest to you that it may be far from simple. There are
24 differences of opinion amongst the parties in terms of
25 whether productivity is included in the adjustment or not
26 included in the adjustment. If you take the approach that
27 it is included in the adjustment, then Mr. Shepherd has
28 raised the issue we're going to have to look at what

1 productivity improvements are inherent in the capital
2 spending when they come forward.

3 There is an issue about if capital spending is leading
4 to any substantial reductions in OM&A, people will want to
5 pursue that and see to what extent that should be used as
6 an offset in the process.

7 There is also a question about how we incorporate this
8 into rates, which leads to load forecasts in growth. We
9 all know the problem we have had with load forecasts for
10 most of the utilities in this province. We have been going
11 through their 2008 rebasing. Load forecasting is not a
12 strong point in many cases.

13 I think that that could come up again in many of these
14 applications, so I don't think it is a trivial process
15 which I think the Board will have to keep in mind when it
16 thinks about how many of these applications it wants to
17 look at on a year-to-year basis.

18 Those are the end of my submissions. Thank you.

19 MR. SOMMERVILLE: Thank you, Mr. Harper.

20 I think that brings us to the end of this part of this
21 process.

22 I would like to, on behalf of my colleague and in fact
23 all of my colleagues of the Board, thank everyone for their
24 extremely diligent and cooperative attitude.

25 While there were skirmishes, they were very civilized,
26 and the Board certainly appreciates that, and, in fact the
27 skirmishes were extremely valuable for us in sort of
28 delineating the respective positions of the parties, as

1 skirmishes often are.

2 So we're extremely appreciative, appreciative of the
3 diligence of people who simply attended and showed their
4 interest. That's noted by the Board and appreciated by the
5 Board; the very expert work done by the experts. Those who
6 made the experts' views available to us, we also appreciate
7 that effort greatly.

8 And those who participated, Mr. Harper, Mr. Aiken, Ms.
9 Girvan, Mr. Thompson and Mr. Shepherd, we really
10 appreciated the effort that you made in this process over
11 the last few days and, in fact, before that, and
12 particularly Board Staff with respect to its excellent
13 logistics support and applying its expertise to these
14 subject matters, as well. It's extremely valuable and
15 important for the process. Thanks to all.

16 And with that, we will move on to the next stage.

17 My colleague and I, Mr. Vlahos, will be reporting to
18 the Board on what we have seen and heard, and the Board
19 will make a determination on these issues in a timely
20 fashion.

21 Thank you.

22 --- Whereupon the proceeding concluded at 1:04 p.m.

23

24

25

26

27

28